

STATE OF VERMONT
PUBLIC UTILITY COMMISSION

CASE NUMBER 18-3810-INV

INVESTIGATION INTO RENEWABLE
ENERGY STANDARD RULEMAKING

January 29, 2019
9:30 a.m.

112 State Street
Montpelier, Vermont

Workshop held before the Vermont Public Utility Commission, at the Susan M. Hudson Conference Room, People's United Bank Building, 112 State Street, Montpelier, Vermont, on January 29, 2019, beginning at 9:30 a.m.

P R E S E N T

Staff: Elizabeth Schilling, Staff Attorney
Thomas Knauer, Utilities Analyst

CAPITOL COURT REPORTERS, INC.
P.O. BOX 329
BURLINGTON, VERMONT 05402-0329
(802/800) 863-6067
E-mail: info@capitolcourtreporters.com

PRESENT

Anne Margolis, DPS
Kelly Launder, DPS
Patty Richards, WEC
Melissa Bailey, VPPSA and BED
Matt Rutherford, Town of Stowe Electric Department
Ray Albrecht, National Biodiesel Board
Tucker Williams, VEC
Carolyn Anderson, GMP
Doug Smith, GMP
Jeff Monder, GMP
Bill Powell, WEC
John Brabant, Vermonters for a Clean Environment
Lisa Morris, VEC
Keith Levenson, DPS
Maria Fischer, DPS
Allison Bates Wannop, DPS
Matt Cota, Vermont Fuel Dealers Association
Barry Murphy, DPS
Olivia Campbell Anderson, REV
Andrew Quinn, GMP
Paul Lambert, EVT

1 MS. SCHILLING: Good morning. This is
2 the second workshop in Case Number 18-3810-INV
3 investigation into renewal energy standard
4 rulemaking. My name is Elizabeth Schilling. I'm
5 Staff Attorney with the Commission, and with me today
6 is Tom Knauer who is the Policy Director for the
7 Commission, and I am still learning names so if
8 everyone could go around quickly and introduce
9 themselves, that would be really helpful.

10 MS. MARGOLIS: Anne Margolis with the
11 Department of Public Service.

12 MS. FISCHER: Maria Fischer with the
13 Department of Public Service.

14 MS. WANNOP: Allison Bates Wannop with
15 the Department of Public Service.

16 MR. WILLIAMS: Tucker Williams, Vermont
17 Electric Co-op.

18 MS. RICHARDS: Patty Richards,
19 Washington Electric Co-op.

20 MS. BAILEY: Melissa Bailey with Vermont
21 Public Power Supply Authority and Burlington Electric
22 Department.

23 MS. MORRIS: Lisa Morris, Vermont
24 Electric Co-op.

25 MR. MONDER: Jeff Monder, Green Mountain

1 Power.

2 MS. ANDERSON: Carolyn Anderson, Green
3 Mountain Power.

4 MR. ALBRECHT: Ray Albrecht, National
5 Biodiesel Board.

6 MS. CAMPBELL ANDERSON: Olivia Campbell
7 Anderson, Renewable Energy Vermont.

8 MR. SMITH: Doug Smith, GMP.

9 MR. QUINN: Andrew Quinn, Green Mountain
10 Power.

11 MR. POWELL: Bill Powell, Washington
12 Electric Co-op.

13 MR. LAMBERT: Paul Lambert, Efficiency
14 Vermont.

15 MR. RUTHERFORD: Matt Rutherford with
16 the Town of Stowe Electric.

17 MR. COTA: Matt Cota, Vermont Fuel
18 Dealers Association.

19 MR. LEVENSON: Keith Levenson,
20 Department of Public Service.

21 MS. LAUNDER: Kelly Launder, Department
22 of Public Service.

23 MR. MURPHY: Barry Murphy, Department of
24 Public Service.

25 MS. SCHILLING: Thank you. So the

1 primary purpose of today's workshop is to discuss
2 comments that were submitted by the participants on
3 January 18, 2019. So before we jump in to go through
4 the comments does anyone have anything to raise or
5 anything like that? All right. If not, I think we
6 should just jump into going through the Department's
7 comments. They seem to lay out the majority of
8 issues the various participants were interested in.
9 So if we just go through those and then talk about
10 the responses to those and then folks can have
11 discussion, ask questions. So does that work for
12 everyone? All right.

13 So in the Department's comments the
14 first issue that was raised was the RES data
15 collection and compliance. They filed an Excel
16 spreadsheet as a proposed method of compiling all the
17 data. I know some of the participants worked with
18 the Department or provided some comments, but I know
19 not everyone did and I believe the proposal is that
20 the spreadsheet would not be a part of the rule, but
21 would be used to implement the rule. So the
22 spreadsheet is fairly detailed and I don't know if
23 everyone has copies or not. We could go through the
24 spreadsheet today or folks could work together
25 collaboratively to propose a joint and final

1 spreadsheet to the Commission. Folks could also just
2 provide written comments on what the Department has
3 already filed. What would work best?

4 MS. MARGOLIS: I think we would be just
5 as happy to work collaboratively and file a final
6 spreadsheet if that works for all the participants.

7 MS. SCHILLING: I think that would be
8 ideal and since that's not a part of the formal rule
9 itself, obviously we would like to have a final
10 version before we file for formal rulemaking, but I
11 would say the schedule for that is not as tight as
12 getting the draft rule together and that kind of
13 thing. Should we move on to the next item? Any
14 other thoughts on the spreadsheet?

15 MS. WANNOP: Does anyone have any
16 thoughts they haven't raised already?

17 MS. MORRIS: I just have a question is
18 that the spreadsheet we would use for our final
19 filing over the summer in August, but this would not
20 relate to the format of what we submit to the
21 Department on March 15th; is that correct?

22 MS. FISCHER: Correct.

23 MS. SCHILLING: And we can check in at a
24 later workshop on where things are with the
25 spreadsheet Monday.

1 MR. MONDER: Just to follow up, however,
2 we're filing in March. Is it okay whatever format
3 we're using? Is that acceptable?

4 MR. MURPHY: Well I mean ideally as far
5 as an overall summary table I would like something
6 along the lines that we filed previously that lays it
7 out for all the projects just so one area that all
8 the DUs report and it's the same table, same format,
9 so we can do a fairly easy comparison between what's
10 going on, but other than that I think that
11 discussions around how they will ultimately file the
12 March stuff is something that can be handled at a
13 later date, but I would like that little piece, that
14 consistency at least.

15 MS. LAUNDER: Kelly Launder. It might
16 not have been quite clear in our comments, but for
17 the annual plan summary table we were envisioning
18 that it would be used both for the plan as a
19 projected and then the actuals in the March report.

20 MS. SCHILLING: I was just going to say
21 in the Department's comments under Tier III the
22 Department had recommended that a summary table be
23 used for submitting the annual Tier III plans and
24 reports, and so that would be the thing that would
25 provide the consistency not the Excel spreadsheet,

1 and so maybe as a part of working collaboratively on
2 the Excel spreadsheet you all could work
3 collaboratively on the table.

4 MS. LAUNDER: Sure.

5 MR. KNAUER: Olivia.

6 MS. CAMPBELL ANDERSON: So I just had a
7 question and I don't know if this is further on in
8 your agenda. What sort of transparency is there for
9 RES Tier III compliance about the specific projects?
10 It sounds like we're talking about end of year annual
11 summaries, and I'm wondering if the details of the
12 specific projects are going to be available to the
13 public and/or even if in -- even if there is some
14 need to redact information, et cetera.

15 MS. SCHILLING: So I can start with my
16 answer and then others can chime in. So with the
17 Tier III -- with the Tier III projects the utilities
18 submit their Tier III plans to the Commission, and
19 we're going to be discussing those a little bit more
20 further on, and then in March they submit their --
21 what they have done in the prior year to meet their
22 Tier III requirements consistent with their plan, and
23 then those get reviewed by the Department and then
24 ultimately approved by the Commission, and all of
25 that is submitted through ePUC and there's public

1 process around that.

2 MS. CAMPBELL ANDERSON: Yeah. My
3 concern is it's been very difficult to get the
4 details of the specific Tier III projects and there
5 is no public transparency if they only go from the
6 utility to the Department, and information about the
7 projects is not publicly available and, therefore,
8 it's only like a summary. So we would like to see
9 more transparency around specific project details
10 rather than just a summary that gets provided to the
11 Department that may or may not be publicly available
12 unless someone submits a public information request.
13 So --

14 MR. KNAUER: Are you wondering about
15 prescriptive Tier III projects or custom projects?

16 MS. CAMPBELL ANDERSON: My concern right
17 now is around the custom projects because, you know,
18 because the prescriptive projects are pretty clear.
19 For example, if Burlington Electric has an electric
20 vehicle incentive and they say what it is and this
21 number of people received it, obviously we don't
22 necessarily see additional value in saying but for
23 consumer protection these are the individuals who did
24 that, but around the custom projects there doesn't
25 seem to be any transparency or public process and

1 that's a concern to us.

2 MR. KNAUER: Patty, did you have
3 something?

4 MS. RICHARDS: I had a question for
5 Olivia and I think she just answered it, but I was
6 trying to differentiate program offerings versus
7 projects, and sounds like you're looking for just
8 anything that's like a specific delivery of end uses
9 to a customer because all the programs that WEC has
10 are general. It's like here are the programs and the
11 program is the same for any participant.

12 MS. CAMPBELL ANDERSON: Right.

13 MS. RICHARDS: I'm differentiating
14 project versus a program.

15 MS. CAMPBELL ANDERSON: Right.

16 MS. RICHARDS: So program descriptions
17 are completely available and public.

18 MS. CAMPBELL ANDERSON: Yeah so I think
19 perhaps I was using the wrong terms. Thanks for
20 clarifying. So I think the interest would be more in
21 the -- what's the right term -- non-prescriptive
22 custom projects.

23 MR. MONDER: So there is an issue with
24 the custom projects and the level of information that
25 can be provided because some of those projects

1 involve proprietary information from customers that
2 we just can't, you know, openly share otherwise the
3 customer might not take on the project. So there's a
4 level of information -- a summary level of
5 information that can be provided openly, but then
6 there's a level of information about the project, the
7 identity of the customer, specifics about the project
8 in some cases that may not be readily shareable
9 without making it so the customer could not take
10 advantage of a Tier III incentive.

11 MS. CAMPBELL ANDERSON: So I think it's
12 something that needs to be discussed because certain
13 things are -- certain things are over, you know,
14 whether information is redacted or more detailed,
15 summarized, but saying for an example that there were
16 50 custom projects and it was this and having no --
17 none of that information available to the public or
18 anyone is not very transparent or effective, and I
19 think Efficiency Vermont deals with this all the time
20 with their custom incentives. I don't know if
21 there's anything to learn from their reporting
22 process and I'm not -- I'm just posing a concern that
23 I think needs to be addressed.

24 MS. SCHILLING: Melissa.

25 MS. BAILEY: I'm having a hard time

1 understanding the concern. I'm just wondering if you
2 could add a little more color. What kind of
3 information it is that REV would be looking for and
4 what is lacking that isn't available? Like what
5 level of detail are you looking for acknowledging
6 customer privacy concerns, and maybe if you could
7 speak a little bit more about what REV's concern is I
8 guess.

9 MS. CAMPBELL ANDERSON: One, we would
10 have concern any time that there are ratepayer funds
11 being used to subsidize something and there's not
12 transparency and public process. So as an
13 overarching issue of integrity related to the
14 renewable energy standard.

15 So, two, I think it would be helpful to
16 have general information around rather than something
17 summarized that, you know, 50 projects were completed
18 that there needs to be some more information. So,
19 you know, we can certainly provide some concepts in
20 some followup, you know, comments, but that -- I'm
21 just right now laying out a concern around the
22 transparency and integrity of RES which seems to be
23 limited right now.

24 MS. RICHARDS: I just want to put on the
25 record I think RES is very transparent. I think most

1 of our programs -- the vast majority of the programs
2 are general programs, and certainly for WEC we've
3 advertised and we want to get information out what
4 the programs are. There may be a small bucket that
5 raises your concerns, but in general I think the RES
6 has been very public, very transparent because we
7 want to get members and customers participating so
8 that we can claim our megawatthour savings. So I
9 just want to make sure we characterize most of our
10 programs, 95 percent, is very public and transparent.

11 MS. SCHILLING: Matt.

12 MR. COTA: Matt Cota on behalf of the
13 Vermont Fuel Dealers Association. I would agree with
14 Olivia transparency is key here for two reasons. One
15 is after the fact, after it's reported there are
16 experts that may not be privy to the discussions
17 between the Department and the PUC and the vendors
18 and that we might be able to provide some insight or
19 some opportunities in the future.

20 Secondly, Vermont Fuel Dealers
21 Association filed a Freedom of Information Act
22 request with regard to one of the custom projects
23 because we feel that we could have contributed to
24 that project and increased the Tier III credits for
25 that distributed electric utility. Unfortunately

1 that did not happen, but if we had advance notice
2 these discussions were happening, we feel we could
3 have improved the project.

4 MS. SCHILLING: Barry.

5 MR. MURPHY: Just a quick question. Are
6 you asking to be involved in the initial planning
7 phase of the projects eventually if it's something
8 along those lines because that's basically what would
9 be required.

10 MR. COTA: With the project we asked for
11 the FOIA request it was specific to a conversion to
12 distillate fuel which we have lots of expertise
13 about, and instead of converting to distillate fuel
14 from 6 oil, if that vendor or that recipient
15 converted to a biodiesel blend of distillate, the
16 Tier III credits to the distributed utility would
17 have gone up exponentially, and we could have worked
18 in a partnership with the recipient of that
19 conversion and the distributed utility in a
20 non-adversarial manner but in a cooperative manner
21 that would have improved the environment here in
22 Vermont and would have improved the financial balance
23 sheet for the distributed utility.

24 MS. SCHILLING: Kelly.

25 MS. LAUNDER: But I'm still not

1 understanding because if you received the information
2 when they are doing a compliance filing, like that's
3 too late.

4 MR. COTA: Yes.

5 MS. LAUNDER: It's already happened. So
6 I think what you're saying -- what Barry is saying
7 you really want to try to find a way to be part of
8 the planning process. It's not so much about the end
9 compliance knowing the information about the project
10 after it's happened.

11 MR. COTA: I would say both are true.

12 Yes.

13 MR. MURPHY: And to the issue over the
14 transparency of the custom project part of the issue
15 the Department has with that in order to verify these
16 custom projects the level of information that we need
17 to know to do that includes an awful lot of personal
18 identifiable information; customer name, address,
19 account numbers, service records of equipment, all of
20 which, if we have it, is subject to FOIA request such
21 as the Vermont Fuel Dealers have done, and as I
22 understand it the Department doesn't necessarily have
23 the authority to even redact that information in a
24 FOIA request.

25 So that's one of the things that we are

1 going to be looking at how to be able to be both
2 transparent and still protect the participants'
3 privacy and that's a very difficult thing to try to
4 figure out how to do. EVT has certain protections
5 the Department doesn't have which is why we're having
6 issues trying to address that. I think that we're
7 potentially going to be looking either -- two
8 avenues. One potential we could take protection over
9 this information. Another is perhaps a statute
10 change as to what would be required to be provided
11 under a FOIA request for this particular type of
12 activity that the Department has to undertake.

13 EVT isn't subject to the same sort of
14 FOIA as -- so we have that information. A lot of
15 that is handled between a third party and EVT. Those
16 NDAs between the third party and EVT. So none of
17 that information necessarily travels through the
18 Department so we don't actually have ready access to
19 it so it's not in our systems. If there's a question
20 or anything about a project, we can go and get that
21 information and view it on EVT's systems, but we
22 don't generally take copies of that simply because
23 that would not necessarily be subject to a FOIA
24 request. However, that information is available on
25 request from EVT. I think that would require the

1 customer to agree that this information be shared,
2 but project information, project level detail, all
3 that is available just not necessarily the specific
4 customer who is getting that project.

5 MS. BAILEY: Assuming that the customer
6 information protection confidentiality can be
7 addressed through legal channels, which I would
8 imagine it could, I'm still struggling with this from
9 a Tier III limitation standpoint and I just want to
10 make sure I'm understanding the request. Would it be
11 that every time a utility was engaging with a
12 customer about a potential custom project that would
13 have to be filed with the PUC and made public,
14 potentially open for comment and other stakeholders
15 would be able to weigh in and potentially bring our
16 resources to the table?

17 I'm just struggling with whether that's
18 feasible and what that would do to timeline and how
19 that influences the customer's interaction with the
20 utility, and I don't think there's any parallel
21 requirement for EVT to bring custom projects and make
22 them public for comment which is also an expenditure
23 of ratepayer funds.

24 MR. ALBRECHT: I don't think there would
25 be any interest to adding even more layers to

1 projects and slowing the process down. So there's
2 sympathy in that regard, but just to back up, what
3 Matt has said that, you know, there's to be said
4 something -- I'll be frank with everybody here that
5 this has become an electrification program. The
6 original legislation that Vermont passed a number of
7 years back envisioned a broad range of technologies
8 under the Tier III program and it has, you know,
9 focused almost exclusively on electrification
10 measures. So I think there's a disconnect between
11 what was intended with the program during the
12 legislative phase and what it has become.

13 We have offered comments orally at the
14 last meeting and then in writing that we think the
15 obligated parties here should put out open calls for
16 project measures under Tier III, okay, with, you
17 know, you know, clear that we need to address
18 confidentiality, personal information types of
19 issues, and I think we can work through that, but one
20 of the concerns that we have is that just many
21 instances there would be opportunities for renewable
22 fuels, whether it's solid biomass or biodiesel or
23 renewable hydrocarbon diesel which is also a newer
24 form of diesel fuel, and how do we get into the
25 system just on an equal playing field, you know, with

1 electrification measures, and so we have suggested
2 that utilities offer open solicitations, calls for
3 measures, okay, whether they are general programs or
4 custom measures and, you know, be open to all
5 submitters regardless of what part of the energy
6 sector that they might come from and I think that
7 would address a lot of questions.

8 Our concern is biodiesel is a relatively
9 low cost form of renewable energy and it would
10 compete very nicely with a lot of the more expensive
11 measures and, you know, it's -- I think runs contrary
12 to the intent of your original legislation here in
13 Vermont to get skipped over so to speak. Okay. So I
14 would see if there were open calls for projects that
15 biodiesel would be very much in the mix, but we are
16 concerned. We have expressed comments that the PUC
17 staff should have some oversight role in the project
18 selection, not to dig too deep into the weeds, but we
19 have some issues here.

20 MS. SCHILLING: Did that get -- I don't
21 know if that totally addressed your question.

22 MS. BAILEY: No I think it's taken us
23 down a different path, but just respond quickly or we
24 can put that on hold.

25 MR. KNAUER: Are you going to put on

1 your BED hat?

2 MS. BAILEY: Well I would just remind
3 Burlington Electric did issue a RFP for Tier III
4 projects and selected them based on price, and I just
5 -- as speaking on behalf of VPPSA we've been really
6 transparent about our prioritization of
7 electrification measures at the expense of other
8 measures and that's been a deliberate strategy and
9 that's because of our belief that minimizing the cost
10 shifting under Tier III is a priority, and recovering
11 revenue that can be shared among all ratepayers is
12 preferable to investing in potentially alternative
13 fuels which can be cost effective and can have a
14 benefit for the customer, but we prioritized equity
15 among ratepayers over that. So that's been a
16 transparent and clear policy choice we put it in our
17 annual plan each year, and without further direction
18 from the PUC that's probably the strategy we're going
19 to continue to pursue. I just think that needs to be
20 -- electrification will be on a different playing
21 field than alternative fuels because of the funding
22 source. These are electric ratepayer dollars. So
23 unless we get a different policy direction the
24 strategy will pursue.

25 MR. ALBRECHT: We understand what you're

1 saying, but we would voice the opinion that this
2 particular topic then needs further discussion so --

3 MS. BAILEY: Definitely open to that.

4 MS. SCHILLING: Just going back to your
5 prior question did REV have any response about the
6 process or information?

7 MS. CAMPBELL ANDERSON: I mean not at
8 this time. It seems like it might be a good idea for
9 the Department and, you know, to -- for various folks
10 to get together with the Department to understand
11 what the existing process is and what is our -- what
12 our path is to ensure that the RES Tier III statute,
13 which requires partnerships to meet its -- for
14 utilities to meet their compliance, is being
15 undertaken appropriately and there's some either
16 transparency or ability for partnership. I think the
17 BED RFP was, you know, a great path that one utility
18 took to address that.

19 MS. SCHILLING: Okay.

20 MR. MONDER: I would just add we've
21 established numerous partnerships in the interest of
22 finding and completing custom Tier III projects. So
23 we're really open to conversations and I can say
24 confidently I don't think we've turned anybody away.
25 We've been open to every conversation that's come our

1 way and we've been outwardly, you know, reaching out
2 to find folks that can bring ideas. So, you know, we
3 are eager to have those conversations.

4 MR. ALBRECHT: Although the solicitation
5 that you refer to was that ever advertised via the
6 channels of communication that we use within this
7 forum and, you know, Matt Cota has been sitting in on
8 a number of meetings. It would seem that -- and we
9 have had much of these discussions repeatedly, okay,
10 and it would seem that if BED were issuing a call for
11 ideas, that perhaps somebody at BED ought to have
12 given Matt a phone call and just given him a heads
13 up. So we're all busy people, you know, so --

14 MS. SCHILLING: Kelly.

15 MS. LAUNDER: I wonder one of the
16 requirements for annual plans that I think maybe has
17 not always been addressed by the utilities' plans or
18 maybe not addressed as robustly as could be that
19 maybe would get to some of these concerns is the
20 requirement that if there's an electrification
21 project that the plan demonstrate how the utility
22 analyze such projects and to see if there are least
23 cost alternatives that did not increase electric
24 consumption. If that was maybe more robustly and
25 directly addressed, would that kind of get to -- and

1 that would be in the plan so it would be before
2 things happened and there's opportunity during the
3 planning process to have stakeholder comments. So
4 that might be something that would be helpful to
5 address some of your concerns.

6 MS. CAMPBELL ANDERSON: Perhaps. I
7 also, though, think it doesn't address the issue
8 around transparency for the customizable projects or
9 the need for partnership with non-utility service
10 providers in compliance with Tier III.

11 MS. LAUNDER: Okay.

12 MS. CAMPBELL ANDERSON: But that's a
13 good -- that's something we should definitely look
14 at. Thank you, Kelly.

15 MS. MORRIS: Just to follow up on that
16 I've always been confused by that language and how we
17 would demonstrate that because the way our programs
18 work is we have an offering. We have a series of
19 offerings to people; if you want to do a heat pump,
20 we'll give you this amount. If you want to do a
21 pellet stove, we'll give you this amount. If you
22 want an electric vehicle, here's your incentive, and
23 so it's almost like we would have to drill down to
24 that particular customer and what their other options
25 were for how to change their plans, change their

1 transportation, and it's a level of detail -- I just
2 don't understand how we would actually include that
3 as part of our program planning, you know, what the
4 alternatives that were not electrification because
5 it's usually just status quo. It's usually just
6 continue heating with your oil. Continue driving
7 your gas vehicle. So I would just -- if we are going
8 to go down that path with, you know, some more, I
9 would just want some more detail around what that
10 means for the language included in the plans.

11 MR. KNAUER: I agree it's hard to say
12 how to exactly implement that portion of the statute.
13 I'm glad that Kelly brought it up because that was
14 one point that I had highlighted after receiving the
15 TAG Tier III annual report a few days ago. It's
16 something that we've been asking for, for a few years
17 and I think it's one of the things that we need to
18 nail down in the next few months before we file the
19 rule is how will utilities be complying with that
20 aspect of the statute. So we can have that
21 discussion today or we can kick the can down the road
22 one more time and let you all discuss it behind the
23 scenes.

24 MS. SCHILLING: Matt.

25 MR. COTA: I think at the very base

1 level if there is a custom project that's not an
2 electrification project that is switching 6 oil to 2
3 oil and we know that by increasing the biodiesel
4 content of that 2 oil that we can add Tier III
5 benefits to the distributed utility, there should be
6 at least a phone call in that the sellers of
7 biodiesel shouldn't find out a year after, after
8 filing a FOIA request, that that custom project was
9 conducted.

10 MR. ALBRECHT: With the right amount of
11 wordsmithing I think it's possible to provide project
12 descriptions for the custom category that give people
13 a heads up as to what it is that's being flaunted
14 without necessarily, you know, violating, you know,
15 their rights, you know, to a certain level of
16 privacy, you know, and we all are in that business of
17 written communications. Okay. So you can say okay a
18 manufacturer in southern Vermont is being supported
19 to such and such of a measure. Okay. I think
20 something along that line would address and resolve a
21 number of the questions that have been raised here.

22 So -- but yeah and my comments really
23 were based on the general issue of transparency
24 across Tier III, okay, because we're familiar with
25 how electric and thermal RPS programs run in the rest

1 of New England, okay, and Vermont is different, okay,
2 in terms of who does the implementation and decision
3 making of specific measures. In most other states
4 there's a prequalification measure, you know, the
5 sifting of technologies, the awarding of credits
6 handled by, you know, the state and the electric
7 utilities. The obligated parties basically have to
8 purchase the certificates, okay, and so there's an
9 arms length to the transaction, whereas, in Vermont
10 you do not have that arms length nature, okay, and I
11 think that needs to be addressed.

12 MR. KNAUER: I think Kelly's teed up the
13 question.

14 MS. LAUNDER: The Department is happy to
15 add that to the list when we meet with the DUs about
16 the annual plan template and the compliance template.
17 We can add that to the list.

18 MS. SCHILLING: All right. Sound good.
19 Okay. Let's see. I've got to look at my outline for
20 a second and see where we are. Are folks ready to
21 move on to a different topic? Yeah okay. So going
22 back to the Department's comments the next comment
23 was related to the tracking of environmental
24 attributes for energy from Hydro Quebec and the New
25 York Power Authority. So the Department had proposed

1 that for Hydro Quebec that we would continue to use
2 the current process for the utilities which is
3 providing the attestations from Hydro Quebec and then
4 for the New York Power Authority. The Department
5 proposed working with the utilities, VELCO, and New
6 York Power Authority to register the appropriate
7 units so that going forward RES compliance attributes
8 would be tracked in equal JS.

9 So I guess I had a question related to
10 that and whether the Department anticipates being
11 able to register those things with NEPOOL JS before
12 we would commence formal rulemaking in July.

13 MS. FISCHER: I think that should
14 definitely be very doable.

15 MS. SCHILLING: Okay.

16 MS. FISCHER: VELCO is going to be the
17 one kind of doing most of the work and just want some
18 sign off on the utilities before they get started on
19 that.

20 MS. SCHILLING: All right, and so if
21 those New York Power Authority units are registered
22 in NEPOOL JS, would the RECs then be tracked like all
23 other RECs in NEPOOL JS?

24 MS. FISCHER: Yes. They would have to
25 still submit a qualification application.

1 MS. SCHILLING: Okay. So there wouldn't
2 be a special process it would just be the normal
3 process?

4 MS. FISCHER: Right.

5 MS. SCHILLING: Okay. So did anyone
6 else have comments, questions about the Hydro Quebec
7 and New York Power Authority renewable energy
8 standard process?

9 MS. RICHARDS: I have one procedural
10 question. What is VELCO's role in this?

11 MS. FISCHER: VELCO receives those
12 attributes from NYPA and then transfers them to the
13 DUs I believe.

14 MS. RICHARDS: So WEC is getting the
15 attributes through VPPSA?

16 MS. WANNOP: VELCO transfers them to
17 VPPSA and then --

18 MS. RICHARDS: Just trying to get all
19 the steps here.

20 MS. FISCHER: VELCO is the market
21 participant.

22 MS. RICHARDS: Still on NYPA.

23 MS. FISCHER: Correct.

24 MS. RICHARDS: The contract with NYPA is
25 with the DPS. VELCO's administering the contract

1 with ISO through the ISO market system; is that
2 correct?

3 MS. FISCHER: Correct.

4 MS. RICHARDS: So the DPS doesn't have
5 --

6 MS. FISCHER: The DPS doesn't have an
7 ISO account or NEPOOL GIS account that we can receive
8 and transfer RECs. So that's done through VELCO.

9 MS. RICHARDS: So assuming VELCO -- I
10 mean I would assume VELCO -- the procedural aspect
11 for VELCO would be an easy thing?

12 MS. FISCHER: Yes.

13 MS. RICHARDS: Do we have any issues
14 with NYPA converting the -- having them actually say
15 yes these are the RECs that are associated with the
16 power that are coming to all of Vermont?

17 MS. FISCHER: For Niagara it should be
18 very clear-cut. It's in the contract that that
19 includes the attributes. Saint Lawrence agreement is
20 not reached so that contract does not include the
21 attributes, although I understand that they are
22 transferring. They have continued to transfer the
23 quantities for both Niagara and St. Lawrence.

24 MS. RICHARDS: Okay. Thank you.

25 MS. SCHILLING: Anything else on this

1 topic? So the next issue that the Department raised
2 was the RES qualification for Vermont Tier I and II
3 and they suggested requiring that applicants provide
4 the CPG number, that the registrations be reviewed
5 quarterly, and that there be an opportunity for the
6 utilities to provide comment on the registrations.
7 Do folks have questions or comments about that
8 Department recommendation?

9 MR. KNAUER: I do.

10 MS. SCHILLING: I do too. Would you
11 like to go first?

12 MR. KNAUER: Sure. Olivia, you're in
13 charge of speaking for developers today. What do --

14 MS. CAMPBELL ANDERSON: We prefer the
15 term energy innovator or renewable energy providers.

16 MR. KNAUER: For all those entities do
17 you have any comment on reviewing the qualification
18 forms on a quarterly basis in bulk rather than doing
19 it on a case-by-case basis one at a time?

20 MS. CAMPBELL ANDERSON: No. I mean I
21 think as long as it's clear -- I think so long as
22 it's clear and traceable that's fine.

23 MR. KNAUER: I think from our
24 perspective in terms of implementation it would -- I
25 think it would be more efficient to do it on a

1 quarterly basis, and so what we would need to do is
2 know the important dates for the utilities in terms
3 of when does the NEPOOL GIS quarter close and then we
4 need to go, you know, back up a certain amount of
5 time to start our process for review, and then my
6 question for the Department is why is it important
7 for utilities to have an opportunity to comment
8 during the -- our review process?

9 MS. MARGOLIS: So I think one of our
10 concerns is that one of the items that we would be
11 reviewing is whether the RECs are -- basically have
12 already been transferred to the utilities or to
13 another party through some sort of other agreement.
14 For instance, net metering. So that we're trying to
15 avoid the issue of double counting. So we feel that
16 the resources that we have access to, to ensure that,
17 you know, the checkbox wasn't checked during the net
18 metering registration form process or application
19 form process that would say that the RECs have
20 already been given to the utility, you know, we would
21 either be looking at the original form as filed in
22 ePUC or the other sort of native place for that to be
23 recorded is what the utilities -- they are also
24 tracking whether the RECs have been given to them at
25 least under the new net metering program and,

1 therefore, whether they are giving the project an
2 adjustor -- appropriate adjustor for that.

3 So because we're consulting, you know,
4 basically secondary sources to us that aren't our
5 native sources we also feel that it would be a
6 double-check for the utilities while we're looking at
7 the ePUC and the native registration form that the
8 utilities would be able to check against their own
9 systems to ensure that they are not already being --
10 that REC is not already being transferred to them.
11 So it would be sort of a secondary check on that.

12 MS. CAMPBELL ANDERSON: Knowing the
13 challenges that we all have had in tracking which,
14 particularly on net metering projects, have been
15 applied for, been installed, and, you know, what the
16 deposition of the RECs are for CPGs, is there any way
17 that to do some of this automatically through --
18 obviously with the RECs you would need to check with
19 verification, but is there a way that you could look
20 at updating the ePUC so that there's a box of yes
21 it's installed or there's an easy check-off box
22 related to the REC? I'm not sure. I don't think
23 there is a box on the RECs so that some of the data
24 can -- it will take less time.

25 MS. SCHILLING: I mean this is something

1 I'm interested in looking into as well because this
2 is becoming a bit of a time sink for something that
3 should be fairly straightforward. So I think I would
4 propose that the Department and the Commission reach
5 out to NEPOOL JS, get some more information about
6 their processes, and then look into ways that we can
7 automate the commercial and the Department processes
8 so that this is a lot more seamless and
9 straightforward because I think the registrations
10 that are coming in now often are incorrect or have
11 errors or information missing, and it does seem like
12 a process that could be streamlined or automated in
13 some type of way. So maybe we can work offline and
14 also reach out to NEPOOL JS to get more information
15 about their processes and how things work with them,
16 and then we can come back to the group with the
17 information that we find out and some proposals for
18 making things a little better.

19 MR. KNAUER: I would follow up. I can
20 say with a hundred percent certainty that we don't
21 receive information about what systems are ultimately
22 constructed and interconnected. We don't know that
23 so you would have to get that through the -- from the
24 utilities. I can say with about 65 percent certainty
25 that you can run a search in ePUC and get an Excel

1 spreadsheet that has every single net metering
2 project that was ever -- that ever applied for a CPG,
3 and one of the fields is were the RECs retained by
4 the CPG holder or were they transferred to the
5 utility. So that data is available I can say with
6 some certainty.

7 MS. CAMPBELL ANDERSON: Yeah, but if you
8 don't know if it's been installed and the utilities
9 don't track based on the CPG number, it's impossible
10 to actually use that data base effectively for some
11 of these issues and track what really is going on.
12 So maybe I'm just recommending that it could be
13 helpful to have a checkbox on installed yes or no at
14 some point in that process or there may be other
15 ways. I appreciate you looking into that.

16 MR. KNAUER: So would we ask the CPG
17 holder to come back to the PUC with another filing
18 requirement saying when it was interconnected? Yes.

19 MS. CAMPBELL ANDERSON: Fine. I mean if
20 it literally is something like check a box, you know,
21 we wouldn't have any problems with that.

22 MS. BAILEY: That's a recommendation
23 that VPPSA had made in the net metering rulemaking
24 process that there be a requirement for an as-built
25 certification once the project was actually installed

1 and that would kind of close the reporting loop and
2 also accounted for any potential changes in like
3 system size that could happen in the filing. So we
4 would support that recommendation that there be an
5 affirmative filing from the customer or developer at
6 the end of the project installation.

7 MS. ANDERSON: GMP would support that as
8 well.

9 MS. MORRIS: I would just say unless
10 there's some sort of consequence if that doesn't
11 happen, the data quality is not going to be good.

12 MS. ANDERSON: Agreed.

13 MS. MORRIS: Well the credits sure, but
14 we, as the utility, would have to verify that they
15 have gone in to do that because our process is
16 separate from the PUC at that point after they filed
17 the registration.

18 MS. CAMPBELL ANDERSON: I mean
19 alternatively given that you, the utilities, are the
20 ones that know when something interconnects you could
21 go back and check a box.

22 MS. MORRIS: I would feel more confident
23 in that data. We have processes that we do. It
24 would be another step for us. It's not --

25 MS. SCHILLING: So the utilities would

1 then submit something saying the project is
2 interconnected and you would support that idea?

3 MS. BAILEY: It's a question of who
4 bears the burden, right? The utility on behalf of
5 all ratepayers or the individual ratepayer is
6 potentially benefitting as a net metering customer.
7 We prefer that come from the CPG holder. We can
8 build a process and an additional layer of reporting
9 from utilities is really a policy question.

10 MS. SCHILLING: That's helpful. Thank
11 you. Is there anything further on that topic? We'll
12 move on to the next issue raised by the Department.
13 So the next topic was the format of the rule, and the
14 Department suggested that where possible the rule
15 reference any required forms as provided by the
16 Commission and then maybe not include all of the
17 particular details of what would need to be included
18 on the form so that forms could be updated as needed
19 with new information. So my question on that one
20 would be could the Department go through the 8550
21 order and identify any sections specifically where
22 you think maybe it's too prescriptive right now?
23 That would be helpful, and then did others have
24 comments or questions on this one?

25 MS. WANNOP: Yeah. The Department can

1 do that.

2 MS. SCHILLING: Okay. Thank you. The
3 next topic was Tier I and the Department voiced that
4 it supported giving the utilities full discretion
5 regarding their annual treatment of their REC
6 inventory with respect to which RECs are used for
7 compliance versus which are banked. Didn't hear or
8 see any objections to that in the other comments.
9 Anyone have any other thoughts on that?

10 The next topic gets into several issues
11 related to Tier III and I think we already covered
12 the first issue which was the summary table to be
13 used when the utilities are submitting their annual
14 Tier III plans and reports. So the Department will
15 work with the utilities to come up with a proposed
16 summary table as part of looking at the Excel
17 spreadsheet.

18 The next issue was the administrative
19 cost issue. So the Department had proposed a
20 definition for administrative cost as well as how
21 administrative costs should be allocated. I note
22 there were some concerns from several of the
23 utilities about being overly prescriptive with the
24 administrative cost issue. So what are folks'
25 thoughts on a definition as well as a process for

1 allocating the administrative costs for Tier III
2 projects? Barry.

3 MR. MURPHY: So our reason for including
4 this is obviously administrative costs are real costs
5 for the Tier III program, and we just want to ensure
6 that there's consistency among the DUs when they're
7 reporting their administrative costs that they are
8 including the same things so that, you know, it's a
9 real cost that you can compare from one DU to the
10 next and that's really what we're trying to get at
11 here.

12 I mean whether or not you're able to
13 track them on a specific project basis would be
14 great, but it's not necessarily something that we
15 would need you to do. As we suggested here that it
16 could even be based upon a weighting on the
17 megawatthours and that's how you determine it
18 overall, but, you know, really we do think it's
19 important that we know what administrative costs are
20 for -- if at all possible for the individual programs
21 or projects that you're doing. Maybe for the custom
22 ones might be easier to track rather than the
23 prescriptive, but definitely for an overall for the
24 Tier III piece we really would like to see what those
25 administrative costs are and especially since they

1 are real costs and they do belong in the Tier III.
2 So it should be reported.

3 MR. MONDER: So you're content with
4 applying some methodology because we've got
5 administrative costs that really come in like a pool
6 of resources that work on a lot of different things
7 and don't necessarily report time and, you know,
8 every --

9 MR. MURPHY: Yeah. As long as we can
10 know what that methodology is and as long as it's
11 applied uniformly across the DUs if possible or where
12 possible, yeah I think we would be okay with that,
13 but we really would like to get a handle on what
14 these administrative costs are and make sure they are
15 being reported consistently, and consistency is
16 really what we're looking for here where possible.

17 MS. ANDERSON: I guess without knowing
18 what everybody's methodology is it's hard to -- I
19 mean I'm not sure if you mean include -- that we're
20 all including the same types of costs depending on
21 how you handle projects internally, how you break
22 down those costs may be different among the different
23 utilities.

24 MR. MURPHY: I think in terms of like
25 the large bucket shall we say, as long as we're

1 including the same large bucket exactly how they are
2 broken down might differ between the different DUs,
3 but if we're calling it the same thing and it's
4 mostly the same thing, I think that's -- we would be
5 okay with that overall.

6 MR. MONDER: Do you have a list of
7 elements in mind?

8 MR. MURPHY: We have developed a list of
9 -- we went through a process similar with this with
10 EVT through administrative costs.

11 MS. ANDERSON: All the EEU.

12 MR. MURPHY: All the EEU stuff and we
13 did develop a list of administrative and
14 non-administrative cost and I think that would at
15 least provide a starting point for the discussion of
16 what costs should be included and what shouldn't.

17 MR. MONDER: That would be good.

18 MS. LAUNDER: We can send that around
19 and we could add this -- I'm not trying to make the
20 meeting that we're going to have last for ages, but
21 we can possibly add this to the list of discussion
22 points as well, but I think it would be helpful for
23 everyone to see what we figured out with the energy
24 efficiency utilities especially when that includes
25 two utilities.

1 MS. ANDERSON: That would be helpful.

2 MS. RICHARDS: I think that makes a lot
3 of sense. One of our concerns is we get too
4 complicated and burdensome in terms of reporting. We
5 don't want to go down that path, but if we can work
6 through some details of what you're looking for and
7 try to keep that simple --

8 MS. LAUNDER: We are not looking for
9 counting every hour spent on every project. That's
10 not our intent. Barry said we want to agree on some
11 kind of consistent ways so we're somewhat comparing
12 apples-to-apples.

13 MS. SCHILLING: So any other thoughts
14 about the administrative cost issue or shall we move
15 on?

16 The next topic would be approval of
17 annual plans for Tier III projects. The Department
18 proposed a process and schedule by which the plans
19 would be deemed approved absent an investigation by
20 the Commission. I know several of the utilities
21 voiced concerns with having an approval process. At
22 least one or two seemed okay with the deemed approved
23 process, and GMP also suggested midyear check-ins
24 with the Department as an alternative to the approval
25 process. So what are people thinking about that

1 topic?

2 MR. ALBRECHT: I guess I would just jump
3 in again and say if there were an approval process
4 with public comment opportunities, that might be a
5 point for the non-electric people to, you know, jump
6 in and say hey you know we think we could be part of
7 your program, you know. So --

8 MS. SCHILLING: So the Tier III annual
9 plans are filed now November 1st and then there often
10 is a workshop that the Commission holds for asking
11 questions about the plans. So I think there is some
12 process there right now.

13 MR. ALBRECHT: I think we need to just
14 get better involved with that.

15 MS. SCHILLING: Others? I know folks
16 have concerns about an approval process, but how are
17 the utilities feeling about a deemed approved process
18 in line with the schedule proposed by the Department?

19 MS. ANDERSON: I think that from our
20 perspective we want to be really careful. One of the
21 -- and I forget which one -- one of the 8550 orders
22 stated that there was no reason -- that we were not
23 going to have an approval process. So I guess we're
24 not clear what's changed that would necessitate that,
25 and so we just want to be really careful that we

1 don't add process that's not going to really benefit
2 or improve the program.

3 Part of Tier III is to be innovative and
4 nimble and so there is some concern that having such
5 a regimented process and under that process you can
6 get to January 15th and suddenly open an
7 investigation on the plan that you're supposed to be
8 implementing on January 1st. So it just seems like
9 we could really be running into some problems if that
10 type of a process continued. If you just had it
11 deemed approved on January 15th then that was the end
12 of it, I guess that, you know, we could work with
13 that, but these plans are pretty nimble and for good
14 reason. I mean you're constantly working on those
15 projects and tweaking them and seeing what works and
16 what doesn't and then all of a sudden you'll have to
17 switch midstream. I mean I believe we had that with
18 our Tier II 2017 plan where we had anticipated I
19 think that heat pumps were going to really fill that
20 program and they didn't, something unexpected came
21 up, and so we probably -- that's what we want to keep
22 in mind here. So --

23 MR. KNAUER: It's my understanding based
24 on the Department's most recent comments is that they
25 would be seeking not for the Commission to say we

1 like your mix of resources, but rather the plan that
2 you have submitted meets the requirements of Tier III
3 and it attributes no judgment to what projects we've
4 selected. Is that an accurate characterization?

5 MS. LAUNDER: Yeah that's correct. I
6 don't think that -- we don't see any change in the
7 nimbleness, and right now there's a requirement that
8 if there's programs that are dropped that were
9 included in the annual plan or added, there's already
10 a requirement that there's a notification for that
11 and we wouldn't be asking for anything more. As we
12 said we're not looking at, you know, we're going to
13 do 20 heat pumps. Oh wait no we're not we're going
14 to do 10. Oh wait no we're going to do 50. That is
15 not the level we're looking for and that's not what
16 happens in the energy efficiency plan process either.
17 There's always that nimbleness to change programs or
18 offerings based on the needs and what you're seeing
19 in the market. So we wouldn't see that changing, but
20 to say again like what's changed I think, as the
21 Department mentioned last time, we have definitely
22 seen plans that don't address all the things that
23 were meant to be addressed, and our hope is if you
24 have an approval process it's very well spelled out
25 what that process is, when things happen, what

1 happens if there's discrepancies or things that
2 haven't been addressed how that's handled, and we
3 tried to map out a process that would be succinct and
4 not add a lengthy additional process.

5 We're happy to consider other dates,
6 pushing it earlier if there's a concern about when
7 the plan would have final approval, but it would
8 certainly be the Department's hope that we would be
9 working with the utilities beforehand to address any
10 issues so that we would not get to that point where
11 we would need to continue our process on after the
12 December date. That's what we would be striving for,
13 but if we need to push back discovery earlier to make
14 sure that happens, we're certainly willing to do
15 that.

16 MS. ANDERSON: That's actually very
17 helpful and I think we could sit down and go through
18 that. I think one of the things that concerned us
19 the most was not losing that ability to be nimble.
20 So it might be helpful to understand exactly what's
21 getting approved and we can be -- specifically
22 identify that.

23 MS. LAUNDER: Absolutely.

24 MS. ANDERSON: That might address some
25 of our concerns, and then at the end I'm not sure

1 what the reason would be for an investigation and
2 maybe -- you know what I mean. You're either going
3 to -- you're either going to get your savings or be
4 told you can't have your savings at the end. So that
5 investigation hanging over I'm not sure what we would
6 be investigating. So it might be helpful to talk
7 through that as well.

8 MS. LAUNDER: Sure.

9 MS. RICHARDS: The other concern that
10 WEC has is we don't want to open up an administrative
11 proceeding around approval so that we have to come in
12 for workshops and reviews, and I ask the question to
13 the PUC could you turn around approvals on a timely
14 basis so it's not like an IRP basis; we file
15 something, we ask for approval, it might be six
16 months, it might be two months, it might be a year
17 and a half. It's kind of this -- I don't want to
18 have public hearings. It's really one of the quick
19 and nimble and make sure that we're not bogged down
20 in administrative work load rather than delivering
21 programs.

22 MR. KNAUER: Well we're already holding
23 an annual workshop for Tier III. So I think the
24 Department's proposal doesn't really introduce any
25 change in that regard other than giving some

1 certainty hey PUC you need to schedule your workshop
2 pretty early which we're not always good about. To
3 the extent that it is analogous to a tariff review
4 process we usually issue orders on tariff filings
5 consistent with the 45-day statutory requirement, and
6 to the extent that we could come up with a template
7 order, if necessary, I think we could turn them
8 around pretty quickly, but we're all usually pretty
9 busy, you folks too, at the end of the year.

10 MS. RICHARDS: Right. If this cascades
11 and we have to give notice in the local paper, we
12 have to get certain -- like a tariff we have to give
13 certain notices. For the IRP we have to have a
14 public hearing. So if this turns into that, if it
15 cascades into several notice provisions, I'm still
16 concerned about approval. Just an enormous thing
17 that is -- sounds easy, but I'm just concerned about
18 what it could cascade into.

19 MS. LAUNDER: I guess we're building off
20 the EEU process and we don't have any of that kind of
21 notification. So we are trying to stick to that same
22 kind of process which is pretty succinct. It does
23 not run on into January. I'm not sure if the PUC has
24 answered whether you could -- you think this deemed
25 approval option would be possible. I would love to

1 hear that. We thought it might be but --

2 MR. KNAUER: I can't say. You know
3 there have been various proposals over my career here
4 for deeming things approved and various makeups of
5 the Commission have had various levels of comfort
6 with that. So I can't answer for this Commission,
7 but we'll certainly take that upstairs and ask them.

8 MS. MORRIS: I have a question. I guess
9 maybe it's more of a -- like a legal or procedural
10 question, but in the schedule it says -- in the
11 Department's comments it says if the Department or
12 the Commission does not raise questions regarding
13 whether an annual plan, you know, then it goes into
14 the process, but is it possible to actually limit, if
15 it's a formal piece, the approval process, the
16 objection to the Department and the Commission or
17 does this open it up to any sort of public
18 intervention if we have this process?

19 MS. LAUNDER: I think what we were
20 trying to get at is that there would be comments
21 until the last of November and that can include
22 stakeholder comments. I think we were envisioning
23 the PUC could always say that other stakeholder
24 comments deserve further investigation. We just
25 didn't think that -- you know we didn't want to stop

1 the process for any comment that could possibly come
2 in. We thought that that could be really burdensome,
3 and that -- but there might be more weight given if
4 the Commission or Department had concerns given our
5 role in the compliance of Tier III, but --

6 MS. MORRIS: Yeah, I'm sorry, just my
7 question gets to the concern that Patty raised about
8 kind of it being a spiraling process. We're now
9 having hearings and we're not able to implement
10 programs and things just get tied up and filing
11 comments and all sorts of, you know, like a long
12 drawn out process.

13 MS. LAUNDER: That would certainly be
14 good to hear feedback from the PUC on all of that
15 schedule proposal and whether that's really going to
16 work before we go forward with a decision on that and
17 that would be one of the items.

18 MR. MONDER: Just to add one kind of --
19 to try to color the conversation hitting the Tier III
20 targets each year is hard and it's getting harder.
21 So, you know, delays in implementation or process
22 involved in, you know, examining programs in the year
23 where those credits are trying to be achieved becomes
24 -- you know, adds to that challenge.

25 MS. SCHILLING: Melissa.

1 MS. BAILEY: VPPSA and BED share the
2 concerns the other utilities have articulated. We're
3 supportive of the Department's proposal, and in the
4 interest of increasing transparency to the extent
5 that those dates are formalized to the extent that we
6 do have a date under which we know we can move
7 forward with programs, we like the deemed approved
8 approach where we can roll out programs without
9 having uncertainty, and I think what led us to
10 support this proposal is it potentially gives us more
11 certainty than we currently have right now. The PUC
12 obviously could open an investigation on any of our
13 Tier III plans at any point and there's no timeline
14 in the order or in statute obviously. So to the
15 extent that this increases certainty for all parties
16 we support the proposal, but if those dates were
17 eliminated and it was left as an open-ended approval
18 process, we would have serious concern.

19 MS. MORRIS: I'm just thinking it's
20 almost analogous to a net metering registration in 10
21 days it's deemed approved, but if somebody intervenes
22 it can go on and on and on. So I think even having a
23 timeline is great, but when somebody intervenes then
24 suddenly it deviates the timeline and it's basically
25 out the window.

1 MS. SCHILLING: Shall we move on to a
2 different topic or any other thoughts on approval of
3 annual plans? So I think that covered all of the
4 Department's topics. Looking at the utilities'
5 individual comments the only thing that I had noted
6 that wasn't -- that we haven't already addressed was
7 the -- several of the utilities expressed that they
8 would be agreeable to providing a load growth
9 estimate as part of their Tier III process. Do any
10 of the utilities want to speak to that topic in
11 greater detail or does the Department want to
12 respond?

13 MS. RICHARDS: Can you summarize the ask
14 again on the load growth? How many years forward?
15 Is it one year at a time?

16 MS. SCHILLING: I don't recall.

17 MR. WILLIAMS: It's an one year plan. I
18 would assume the impact of that year's plan would be
19 the same if there's years forward.

20 MS. RICHARDS: As long as it's not a 20
21 year load forecast. Just checking.

22 MS. BAILEY: I guess we would need a
23 little more clarity on that and I'm not sure if that
24 came from the Department's comments that were filed
25 in the other docket. It's been a little hard to keep

1 track of the comments, but I thought that the impetus
2 behind that recommendation was so the utilities could
3 discuss how they are going to manage ongoing load
4 from electrification. So I would be curious whether
5 it really was an one year. We need more clarity on
6 that versus a long term forecast.

7 MS. LAUNDER: We can go back and
8 clarify.

9 MS. SCHILLING: Okay.

10 MR. KNAUER: Mr. Albrecht.

11 MR. ALBRECHT: As part of any additional
12 activity related to load growth I think we should
13 address marginal emission rates. Vermont is pretty
14 unique as a state in terms of where you get your
15 power from. It's very dependent upon where you are
16 in the state. If you're in Burlington, you know,
17 you're looking at hydro power from Quebec or other
18 sources, but elsewhere maybe pulling in power from
19 the ISO-New England grid, and there's a lot of
20 contentious issues being addressed by ISO-New England
21 in terms of especially during peak winter periods
22 such as what we're going to have soon this week where
23 is that power coming from. So -- and are we firing
24 up coal and 6 oil fired plants, you know, or during
25 peak periods. Not to make life terribly complicated,

1 but I think there needs to be some -- some
2 recognition of that issue so -- I don't -- that's
3 definitely another thorny topic so I'll just stop
4 there.

5 MR. KNAUER: So is the proposal that
6 that would happen as part of the overall RES or is
7 that unique to Tier III measures?

8 MR. ALBRECHT: I don't know. I don't
9 think I would venture to answer that. I think it's
10 such a complex issue that, you know, I don't think we
11 could come up with the complete answer, but I think
12 there should at least be a qualitative recognition
13 that intensely adding electric load during peak
14 winter periods does have ramifications on the grid
15 both in terms of the environmental attributes of
16 incremental power generation at the merchant as well
17 as the cost impact to all ratepayers, you know, for
18 utilities that are purchasing power, you know, from
19 the grid under ISO-New England.

20 MR. KNAUER: Does the TAG measure
21 characterization of those measures that would most
22 likely be working during peak winter times take that
23 into account? What is the system mix while those
24 units would be in service?

25 MR. ALBRECHT: The tables that VEIC put

1 together, if I remember right, they reflect just the
2 average generation mix.

3 MS. MORRIS: It just looks at an annual
4 projection of how many additional kilowatthours would
5 be produced as a result of the measure and it doesn't
6 consider load profiles.

7 MR. WILLIAMS: Back to the load growth
8 piece of the Tier III plan load forecast, are we
9 talking about just the impact from the Tier III plan
10 itself or are we looking at a load forecast similar
11 to what we provide for the IRP where we're looking at
12 a base forecast typically provided by a third party
13 that's driven by economic factors in addition to
14 forecasts on net metering installations Tier III all
15 layered on top of each other? Just wondering what
16 exactly -- I didn't see the initial proposal. This
17 is the first I have heard so --

18 MS. LAUNDER: I think we need to go back
19 and just try to map this out a little further. I
20 would hate to speak out of turn. I mean just my
21 first initial reaction is that it doesn't seem like
22 it would make sense to have just impact of like Tier
23 III measures as far as electrification and not at
24 least mention that there's a counterbalance like
25 through net metering, but I think the Department does

1 need to think a little bit through this and try to
2 put out some advisement of what we would think and
3 discuss it and see what you think, but it seems like
4 you wouldn't want do it in isolation because of that.

5 MS. SCHILLING: All right. So the
6 Department.

7 MS. LAUNDER: Another one for the list.
8 Here we go. All day meeting. It will be fun.

9 MS. SCHILLING: All right. So I had not
10 noted any other unique comments in the utilities'
11 filings. Were there any other topics that I missed
12 from the utilities? Not at this point. Okay. So
13 then the last set of comments were from the National
14 Biodiesel Board and I think we've covered at least
15 one or two of them.

16 MR. ALBRECHT: I think you covered most
17 of them.

18 MS. SCHILLING: Okay, but let's make
19 sure. You did suggest that utilities use third
20 parties to fulfill all or most of the Tier III
21 obligations.

22 MR. ALBRECHT: Well that's sort of a
23 zinger to -- it's a way of voicing frustration on the
24 part of people in the energy industry, you know, here
25 in Vermont who are not part of the world of

1 electricity. Okay. So the other states in New
2 England, you know, have basically programs where the
3 electric utilities purchase, you know, certificates
4 and, you know, all the activities behind all those
5 certificates are prequalified by the state PUCs, but
6 they are implemented -- generally managed by
7 non-utility partners. So there's this arms length
8 attribute, okay.

9 You know in this case well, you know, I
10 mean Vermont is more of a homegrown state, okay, and
11 I'm from upstate New York and I much prefer coming to
12 meetings in Vermont than I do going to meetings in
13 New York where for every issue for each person you
14 have here, in New York you would have at least ten
15 times as many people involved, especially people from
16 New York City. Okay. So -- who can make anything
17 more complicated and just difficult. Okay. So I
18 think if we could break through the issue of the
19 entirety of the program being electrification I think
20 a lot of this would go away, you know, and so I think
21 if we have more robust public engagement during the,
22 you know, the workshop maybe make that a little bit
23 earlier, you know, so that we don't slow down the
24 folks here, you know, I think that would help to
25 resolve this.

1 Matt and I have had discussions about,
2 you know, the biodiesel folks here in Vermont really
3 could and should talk with each of the obligated
4 parties and say hey we're willing to give you enough
5 activity to provide you with the megawatthours that
6 you need to fill the gap, okay, at a very economical
7 price. Okay. So, Matt, I guess my feeling is
8 there's almost the grounds here for making an uniform
9 price, you know, uniform program offer across the
10 board, okay, so --

11 MS. SCHILLING: Okay. You had one other
12 comment that I just wanted to clarify. So you
13 commented that the Commission should oversee funding
14 to ensure there's proper differentiation between the
15 use of shareholder versus ratepayer funds for
16 implementation of Tier III. Just clarify what you
17 were getting at.

18 MR. ALBRECHT: Yeah. You know it's --
19 there's a lot of subjectivity to the selection of
20 measures and there are, you know, concerns --
21 legitimate concerns in the case of an investor owned
22 utility, you know, do you maybe do one type of
23 activity versus another based upon what is best for
24 the ratepayer or what is also then what is best for
25 the shareholder. I know that you have still a

1 special relationship here in terms of regulation with
2 the utilities. Okay. I want to be respectful of
3 that, but I think without going into, you know, the
4 weeds too deeply on that, you know, I think that
5 while increased electric sales will help an electric
6 utility in terms of how would you say spreading the
7 fixed costs over a wider base of kilowatthours of
8 consumption, the impact on the energy charge, in
9 other words, what we pay to ISO-New England for power
10 generation or, you know, under that process that, you
11 know, those energy charges ought to pass through.
12 They are not really analyzed the way they should be.
13 There are increased costs to everybody when we
14 intentionally add load. Something that shows up
15 under severe peak conditions.

16 This is a very complicated subject, but
17 the -- it's a growing importance. It's a very
18 painful one also as when you watch marginal pricing
19 at ISO-New England. I have ISO-New England on my
20 computer. Everyday I watch the marginal pricing
21 throughout the northeast in the United States, and
22 when you see prices going up well past a hundred
23 bucks per megawatthour due to heavy loads, switching
24 to oil for generation or the price of natural gas --
25 spot market natural gas going up, okay, you know,

1 there's a lot more that we need to consider in terms
2 of then what is best for the ratepayer.

3 MS. SCHILLING: Thank you. That's
4 helpful.

5 MR. KNAUER: Does anyone have any
6 reaction to the Mr. Albrecht's comments on
7 shareholder versus ratepayer funds?

8 MR. MONDER: I do want to say something
9 that in the context of, you know, getting away from
10 the abstract and talking about what the Tier III
11 projects actually achieve they are making a
12 tremendous difference in offsetting fossil fuels and
13 improving efficiency for our customers. You know
14 what we're seeing is satisfied customers. We're
15 seeing fossil fuel reductions. Examples like diesel
16 generators being decommissioned that consumed 30 and
17 40,000 gallons of diesel fuel per year, trying to
18 make progress on getting gas powered vehicles off the
19 road and replaced with electric vehicles, a really
20 difficult challenge for all of us. So, you know,
21 using the Tier III program to focus on achieving
22 those goals seems to me to be really supportive of
23 the intent of the energy plan and the RES.

24 MS. SCHILLING: Mr. Smith, did you have
25 something to add?

1 MR. SMITH: Yeah I just had a question.
2 You were making a point, which I have some sympathy
3 to, watching the interaction between electric demand,
4 LNP prices, et cetera. My question was just are you
5 basically noting here today that this is -- that a
6 proper evaluation of programs that add electric load
7 is something we need to watch, if you will, or are
8 you -- is it your sense that presently the way GMP or
9 other entities are evaluating the costs and benefits
10 of these programs that we're blowing it or missing
11 something big in that regard?

12 MR. ALBRECHT: I would say across the
13 northeast United States, New York through New
14 England, that there's not enough attention paid to
15 what is happening to the grid, okay, and what the
16 wholesale price of power becomes. As you know power
17 becomes especially expensive under heavy load
18 conditions, and then also the same attention to the
19 environmental attributes of the grid. Okay. So as
20 we increase electric load on the grids in New York
21 and New England, which are heavily interconnected by
22 the way, as we increase loads the environmental
23 characteristics deteriorate rapidly, okay.

24 On the other hand, if through efficiency
25 and the addition of renewable power, okay, as we add

1 those types of activities then the strain on the grid
2 drops off. Okay. Even if it's just a marginal
3 incremental relief to the grid, the environmental
4 characteristics of the grid improve substantially,
5 okay, and it's really the grid it's almost like a
6 pressure cooker so to speak, okay, and I'm just
7 saying that we need to pay more attention to that and
8 I'm not saying that all electrification is bad.
9 Okay. I'm very much open to, you know, my personal
10 background is -- has been fuel neutral for decades.
11 Okay. Some of you know that I spent 30 years running
12 the renewable heating and cooling program at NYSERTA.
13 Okay. So I'm -- you know my background is indeed
14 very broad.

15 MR. WILLIAMS: To your point I think
16 that's important to consider and look at moving
17 forward. I think this directly relates to the
18 discussions we had a while back on whether or not to
19 allow residential storage to be included for Tier III
20 credit. I think the main argument here is primarily
21 the same looking at the different times on the grid.
22 The fuel supply is more or less green. In that case
23 one of the major talking points was that the RES is
24 specific to in-state fuel use, and if we're reducing
25 -- if we're improving the greenness of the ISO grid,

1 can we prove that that carbon reduction is happening
2 within the state boundaries. So if we rule one way
3 in one case, I think we would want to at least be
4 consistent across the board because battery usage,
5 storage, can help that problem that you're talking
6 about.

7 MR. ALBRECHT: Yeah or thermal storage
8 as well. Hot water, chilled water, yeah, they are
9 all valid.

10 MR. WILLIAMS: And that would add more
11 flexibility and more nimbleness to utilities in their
12 overall strategy.

13 MS. CAMPBELL ANDERSON: So can you
14 clarify are you making an argument for consistency
15 with the statement that you just made or are you
16 trying to say that the concerns about managing our
17 energy supply and our Tier III plans to -- should be
18 only around reducing emissions in the state?

19 MR. WILLIAMS: I think --

20 MS. CAMPBELL ANDERSON: I'm trying to
21 follow the point there.

22 MR. WILLIAMS: Not picking a side on
23 either side of the fence. I think we need to keep in
24 mind that we may have argued a certain way on the
25 residential storage program and we want to be

1 consistent if we start bringing that piece of the
2 analysis into how much each Tier III technology
3 measures were for carbon credit.

4 MS. CAMPBELL ANDERSON: Well I think
5 that's an important point because if that's the case,
6 then utilities should not be getting renewable energy
7 credit for nuclear energy that is procured out of the
8 state. So I appreciate the change in VEC's position
9 with that statement.

10 MS. MORRIS: Sorry, but we're not
11 getting renewable energy credit.

12 MS. CAMPBELL ANDERSON: No, but I think
13 you're seeking to reduce your compliance under the
14 RES for Tier III because of your purchase of nuclear
15 energy.

16 MS. MORRIS: The difference was
17 renewable versus non-fossil fuel.

18 MS. CAMPBELL ANDERSON: Right. So it's
19 -- I think the renewable energy standard as it's
20 named is about renewable not non-fossil fuel. So if
21 you're making a point that we need to -- that we need
22 to be focusing on our emissions in the state, then,
23 you know, I think that should also apply to how
24 you're seeking compliance or waivers of compliance or
25 reductions of compliance for the renewable energy

1 standard in Vermont based on your out-of-state power
2 purchases which I understand that's another docket,
3 but perhaps these are issues we also need to be
4 looking at with the integrity of the RES as a whole.

5 MR. WILLIAMS: I think the major
6 difference there is the renewable energy credits that
7 utilities retire -- are retired in Vermont. So I
8 think that would be the big difference.

9 MS. MORRIS: And I'll just say Tiers I
10 and II directly relate to the renewability of our
11 power portfolio and Tier III specifically the fuel
12 reduction was the argument that we were making in our
13 filing.

14 MR. MONDER: And that is supported in
15 statute.

16 MS. ANDERSON: Yes.

17 MS. BAILEY: I would throw out a pitch
18 again for consistency and I do think they are raising
19 a really important issue around nuclear, whether the
20 nuclear portion of a portfolio can count towards an
21 utility's fossil free credit essentially. I think
22 from VPPSA's standpoint again we favor consistency
23 and transparency, and I think that was potentially an
24 unfortunate process that was followed in that
25 decision making, and again I hope that we set up

1 through the RES rule a framework where all utilities
2 are treated equal and there's transparency around
3 decision making and I don't know if the DPS is the
4 steward of that. I don't know if that's something
5 that is assigned to the TAG. I think that's another
6 discussion potentially down the road in this
7 proceeding what responsibilities are assigned to the
8 TAG, but again the issue of nuclear, whether that's
9 the right policy decision or not, again I think that
10 could have been a more transparent discussion and
11 again one that applied to all utilities.

12 In our view if the Department is aware
13 of one utility using one methodology and another
14 using another, that should potentially be brought to
15 all utilities and be made public rather than having a
16 utility -- have it be incumbent on one utility to
17 file a revised filing and then the ultimate outcome
18 being appeal the order.

19 So again just I hope the rulemaking
20 clarifies some of that, and again I'm not sure if
21 that should be something that the TAG is responsible
22 for or not, and that's worth exploring further and to
23 what extent is TAG -- that came up in the forum when
24 Matt was making his comments -- is that the
25 appropriate forum for partnerships and for involving

1 technologies other than electrification or
2 potentially not, but is there a forum for those
3 conversations to happen if the TAG is not the right
4 place.

5 MS. CAMPBELL ANDERSON: There's not a
6 lot of public information around the TAG. There's no
7 -- when are they meeting, nothing about that is
8 posted or available to the public for people to be
9 participating in. So it should be, I think, a
10 clearer process.

11 MR. ALBRECHT: I think the TAG has --
12 has the TAG been dormant now for a couple years?

13 MS. RICHARDS: No. It's alive and well.

14 MS. MORRIS: We typically start meeting
15 over the summer and end in November. This last year
16 was I think a five-month window.

17 MR. ALBRECHT: Okay. All right.

18 MR. SMITH: Doug Smith GMP. Just to
19 support something my colleague Mr. Monder said, in
20 our view on this point of if and how nuclear energy
21 in a portfolio should count, I think the distinction
22 that a couple commenters made in our view is
23 absolutely right. It's not being claimed as a
24 renewable, but in our view the statute is clear that
25 with respect to the essentially conversion

1 calculation of BTUs, the purpose of Tier III to
2 convert transformation projects into Tier III credit
3 in our view the statute is clear on that point. I'm
4 making the distinction between some of the other
5 discussion topics we've discussed today. There are
6 much more -- I think much more broad field as to how
7 to interpret the guidance in our view that the RES
8 statute gave. On this point it looks much clearer
9 cut to us as the conversion fraction is about
10 non-fossil fuel and what amounts constitute
11 non-fossil fuel. So in our view it doesn't -- it
12 hasn't warranted the same type of exploratory
13 dialogue that some of these other topics seem to
14 clearly warrant.

15 MS. CAMPBELL ANDERSON: Well and I think
16 frankly that it's not for utilities to be deciding
17 that and we are very concerned about those orders.
18 Unfortunately we didn't know about it until after the
19 fact and weren't alerted to it until another utility
20 tried to have -- seek compliance and calculations in
21 that fashion and this issue has not been discussed
22 and certainly should be put on some type of agenda.

23 MS. MORRIS: I definitely support
24 clarification. I think part of the issue was this
25 was our first compliance year so there were some

1 things that fell into a gray area, and these are just
2 some of the things that I think are the growing pains
3 of getting started with the whole new program.

4 MR. SMITH: I think from GMP's
5 perspective we're not against clarification, but as
6 far as a lack of clarity or a need for clarifying
7 dialogue just to be clear we're not seeing it. The
8 Legislature in defining the conversion of BTUs for
9 purposes of Tier III could have defined it in terms
10 of the fraction of the power that's not renewable.
11 They didn't. So not objecting to have a further
12 dialogue, but I don't think you missed something up
13 until now in my view. I don't think you have been
14 remiss.

15 MS. WANNOP: For the Department's part
16 we looked at the statute and the compliance filing
17 and we did see, notwithstanding that it's renewable
18 energy credit, that if you just look at the plain
19 language of the statute, it does speak in terms of
20 reducing fossil fuel emissions and so that's why we
21 took the position that we did. We were expecting
22 more analysis in the order that eventually came out
23 approving the plan. We thought it was going to be
24 more analysis or discussion regarding that point so

25 --

1 MS. BAILEY: And VPPSA and BED don't
2 take a position on the nuclear piece, but again my
3 point is consistency and when that came to the
4 Department's attention utilities were handling the
5 power supply portfolios differently there should have
6 been communication around that and there should have
7 been some clarity around what utilities should be
8 doing. It shouldn't be left to the individual
9 utilities to interpret the statute. GMP has its
10 interpretation. It should be there should be more
11 openness and clarity around treating utilities the
12 same.

13 MS. WANNOP: Just from my own
14 understanding so would that have looked like us, you
15 know, when VEC's motion came contacting you
16 individually and saying this is what we are thinking
17 of filing because I just don't know the process.

18 MS. BAILEY: I think from my standpoint
19 it would have looked like when you got two compliance
20 filings from two different utilities that were
21 implementing a different methodology flagging that as
22 a potential issue.

23 MR. LEVENSON: This issue was identified
24 in the TAG meeting with all the DUs present.
25 Different -- that's a different issue.

1 MS. CAMPBELL ANDERSON: Sorry to
2 interrupt.

3 MR. LEVENSON: But that was identified
4 and all DUs were present and we brought that to their
5 attention and the question is how is that issue going
6 to be handled in front of the PUC.

7 MS. BAILEY: Right.

8 MR. MONDER: I think to Lisa's point
9 this is -- this is a feature of a characteristic of a
10 program that's being developed that we're figuring it
11 out, and one thing that I think we learned was that
12 within the TAG process it might be helpful to work
13 through how each utility is actually calculating
14 things and what models it's using and that kind of
15 stuff so that we can compare notes as we're kind of
16 going into a year and I think that would be a helpful
17 exercise.

18 MS. LAUNDER: I'm not directly involved
19 in the TAG process, but I guess it was my
20 understanding that all the utilities were
21 participating and that, you know, if there was an
22 issue that came up like this that someone thought was
23 more of a policy decision that shouldn't be decided
24 in TAG that that would be raised, but I'm happy to
25 have -- do what you're saying is like if we can

1 define more like what are appropriate things for TAG
2 to discuss and decide and what's more appropriate to
3 be decided in another avenue, I think that would be
4 great clarity to have, and again maybe this is a
5 particular example and instance of a learning lesson
6 of like maybe that wasn't -- I'm not saying it was or
7 not, but maybe that wasn't the right place to have
8 the discussion and the decision made and we're happy
9 to learn from that and do it differently next time.

10 MS. BAILEY: Agreed it's a learning
11 opportunity and not looking to assign fault. It's
12 really more about I think it was raised at the TAG
13 that GMP is using this methodology. That was a piece
14 of information that the other utilities received, but
15 I think the next step would have been what is the
16 TAG's position on this, what is the Department's
17 position on this, and bringing that before the
18 regulators. The utilities are meeting a regulatory
19 requirement and the parameters of that are a little
20 bit fuzzy and I'm not -- VPPSA and BED are not
21 comfortable with that fuzziness.

22 MS. MORRIS: So this was a little bit of
23 a timing issue. We filed our compliance reports in
24 March and then the Department made a recommendation
25 in June and this issue surfaced in August which was

1 when we -- then it was the end of August and then we
2 went and refiled after some discussions with the
3 Department. So again I think it's just a fact GMP
4 had certain assumptions and didn't raise -- didn't
5 think to raise the question. We had certain
6 assumptions and didn't think to raise the question,
7 and I think it's just a matter of the messiness of
8 the first compliance year in this case. It would be
9 great if we could all have the same understanding
10 moving forward.

11 MS. CAMPBELL ANDERSON: Yeah and I think
12 that speaks to the importance of transparency in the
13 process particularly moving ahead.

14 MS. SCHILLING: All right. Do you have
15 any other questions?

16 MR. KNAUER: No.

17 MR. ALBRECHT: I'm a daily watcher of
18 ISO-New England grid, okay, and they have a great web
19 site, okay, called ISO-New England express and right
20 here, I know you can't see it, but this sort of
21 circular pie chart here shows the current energy mix,
22 okay, for generation in New England, okay, and I
23 guess my question I would like to take a stab at
24 identifying what fuel is providing the marginal power
25 currently today, this week, in New England.

1 MS. RICHARDS: I'm sure everybody in
2 this room can answer that question because we all
3 have that same web site up.

4 MS. WANNOP: I have it on my phone.

5 MR. ALBRECHT: It's always black
6 appropriately. So coal. So that's why it's -- you
7 know I don't want to belabor this worse than I have
8 already, but I think when we talk about electricity
9 use it's the environmental characteristics of
10 electricity are so sensitively dependent upon the
11 time of day, okay, what the load is, what the weather
12 is, okay. A good part of the time it's very good,
13 okay, but when we started adding -- purposely adding
14 electric load on your cold weather conditions the
15 scale tips in the other direction, okay, and so I
16 guess the final thing the Europeans have figured this
17 out to a significant extent to the point that a
18 number of countries they try to incentivise using
19 heat pumps during mild to moderate weather and then
20 let the fuel backup. So -- and it should not be
21 fossil fuel as your backup. It should be renewable
22 fuel as your backup.

23 MS. WANNOP: Can I ask a quick question
24 whether the PUC takes an official position on whether
25 it's Tier III with a number or Tier III with a roman

1 numeral?

2 MS. SCHILLING: I've been writing it
3 with a roman numeral.

4 MS. WANNOP: That's what the order says.

5 MS. SCHILLING: It's a totally valid
6 question. The order --

7 MR. KNAUER: I don't think there is an
8 official position yet. We will make sure that that
9 is covered in the rulemaking.

10 MS. WANNOP: Thank you. It would
11 alleviate some internal discussion.

12 MS. SCHILLING: I think I was planning
13 to use roman numerals as well.

14 MS. WANNOP: You have one supporter
15 here.

16 MS. SCHILLING: All right.

17 MR. KNAUER: I've personally been trying
18 to move away from roman numerals.

19 MS. SCHILLING: We can bring this to the
20 Commission.

21 MS. WANNOP: The order says roman
22 numerals, but I've seen it both ways.

23 MS. SCHILLING: We'll get back to you on
24 that one.

25 MS. WANNOP: Great.

1 MS. SCHILLING: Great. All right. So
2 if there aren't any other substantive issues to
3 discuss, I was thinking we could talk a little bit
4 about schedule moving forward and what next steps
5 should be. So I know that there are quite a few
6 items that the group is going to discuss separately
7 from this meeting. Is there a timeline that you're
8 envisioning for that meeting and when you would be
9 capable of filing something in writing with the
10 Commission?

11 MS. LAUNDER: I mean given the set of
12 players that are involved in this I would think it
13 would take a few weeks even to find a date -- a few
14 weeks out to find a date that would work for all the
15 organizations. So is there a way we could do that
16 first?

17 MS. WANNOP: Could we maybe set a date
18 two weeks after the meeting or two or three weeks
19 after our meeting that we would schedule and call you
20 guys with that information?

21 MS. LAUNDER: And I'm not sure if it
22 will also take multiple meetings. There's a lot on
23 the list as of now.

24 MS. SCHILLING: Right, there is, and I'm
25 wondering if we can move forward with maybe two

1 processes simultaneously. So the group working on
2 the issues -- the thornier issues that have been
3 identified, the more complicated things, but then
4 maybe also still moving forward with trying to get
5 some type of draft rule language out to everyone by
6 April 1st. So I'm currently working on a framework
7 based on the 8550 order including the things that
8 folks seem agreeable to and are straightforward
9 changes, and so I think my goal would be to issue
10 something like that before April 1st -- or by April
11 1st, but to know that's a starting point for
12 discussion and would not necessarily address all of
13 the various more substantive issues that the group
14 would still be discussing. So there might be some
15 placeholder language or just have the language from
16 the 8550 order and we would know even with a comment
17 bubble the group is working on making changes to this
18 section just because I feel like having language in a
19 document like that to work from can really help to
20 further discussions and drill down into the very
21 specific things that we need to work on.

22 So I think that will be my plan the
23 April 1st deadline to get things out to you all in
24 the form of a real draft and then probably asking for
25 some written comments on that draft -- well trying to

1 think -- maybe a workshop immediately after the draft
2 came out or something like that. I guess it will be
3 dependent on where you all are in the process
4 regarding the other issues and when you think you
5 might be able to file something. So maybe the thing
6 to do would be to not set any formal dates today for
7 next steps, but to know that you're going to take
8 actions to meet and then I'm going to work on getting
9 a draft rule out.

10 MS. WANNOP: Maybe we could file a
11 comment in say three weeks time with the
12 non-discussion issues like, for example, the orders
13 that are too prescriptive and those kind of things
14 and that could include the date that we had
15 coordinated to have a meeting and what we would think
16 based on that date would be for the next discussion.
17 Does that sound good?

18 MS. LAUNDER: Sure.

19 MS. SCHILLING: So anything that can be
20 easily followed up from this meeting in the form of a
21 written comment or if there are things that people
22 just want to follow up on that maybe didn't bring to
23 the group today. Yeah I think written comments and a
24 date for your meeting. Do you have your calendar up?

25 MS. WANNOP: So that would be -- the

1 19th would be three weeks from today.

2 MS. SCHILLING: That's fine with me.

3 Does that date work for other people? Kelly.

4 MS. LAUNDER: I find it helpful to know
5 -- I'm not quite clear when you're going through the
6 previous order to determine what you are going to put
7 in the rulemaking are you trying to have that be
8 duplicative and all inclusive or are there priority
9 items? Like I'm not sure should we be trying to
10 categorize every single thing that we think that was
11 in the previous order should be in that or the
12 rulemaking? I'm just not clear exactly what you're
13 seeing as a process if you really want just
14 everything included in the rulemaking or are there
15 particular things that you think lends itself more to
16 be in the rulemaking?

17 MS. SCHILLING: I'm not sure I'm totally
18 following your question.

19 MS. LAUNDER: Are you trying to have a
20 rulemaking that encompasses all the stuff that was
21 decided in the previous orders or are you letting
22 those orders lie and you're only including in the
23 rulemaking things that maybe need to be changed or
24 clarified?

25 MS. SCHILLING: I can't speak entirely

1 to that. The Commission is going to have to weigh in
2 on all the substance that ultimately ends up in the
3 rule. We're directed to do rulemaking and to the
4 extent that rule is all encompassing I think it's
5 preferred to put -- we don't want to have to be
6 looking back at three different orders plus a rule.
7 So I think hopefully the rule would be all
8 encompassing as possible.

9 MS. WANNOP: My understanding was that
10 part of this is that the order -- if a lot of the
11 stuff is in the order, it might not be consistent
12 with the recent amendments to the procedures act. Is
13 that part of what's going on? Some of this stuff --

14 MS. SCHILLING: There's a statutory
15 requirement that we start formal rulemaking for the
16 renewable energy standard by July 1, 2019. So that
17 is what we are doing.

18 MS. WANNOP: Right. I guess I just also
19 thought part of letting -- pulling all of whatever
20 needs to be kept from the 8550 order into a rule was
21 because of the amendments and I think it was Act 156
22 in the last legislative session, but that's not
23 right.

24 MS. SCHILLING: No. The impetus is the
25 statutory requirement that we do this as a rule.

1 MS. ANDERSON: So could I just be clear
2 on what Allison said. What are you looking for by
3 the 19th? Is that a letter from the DPS only?

4 MS. SCHILLING: So I think one would be
5 a comment letter from the Department establishing a
6 date by which you all are going to have another
7 meeting as well as responding to anything that the
8 Department can respond to that was raised today that
9 doesn't need to be discussed by the broader group,
10 and then that would also be the date by which the
11 participants in this proceeding could file any
12 followup written comments, clarifications. If
13 something came up today and you wanted to address it
14 in a written comment, those comments would be due by
15 February 19th.

16 MS. ANDERSON: Okay. Thank you. I was
17 just trying to clarify whether it was just the
18 Department filing something on the 19th or if you
19 were looking for comments.

20 MS. SCHILLING: Certainly if folks don't
21 think they need to file followup things there's no
22 need to file, but if there's something you wanted to
23 make another point about or address that didn't get
24 addressed today, that would be February 19th.

25 MS. ANDERSON: Thank you.

1 MS. SCHILLING: Do you think there's
2 anything else to cover in the schedule for right now?

3 MR. KNAUER: No.

4 MS. SCHILLING: All right. Well any
5 final issues before we adjourn for today? All right.
6 Thank you all. We're adjourned.

7 (Whereupon, the proceeding was
8 adjourned at 11:30 a.m.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


C E R T I F I C A T E

I, JoAnn Q. Carson, do hereby certify that I recorded by stenographic means the workshop re: Case Number 18-3810-INV at the Susan M. Hudson Hearing Room of the Public Utility Commission, 112 State Street, Montpelier, Vermont, on January 29, 2019, beginning at 9:30 a.m.

I further certify that the foregoing testimony was taken by me stenographically and thereafter reduced to typewriting, and the foregoing 81 pages are a transcript of the stenograph notes taken by me of the evidence and the proceedings, to the best of my ability.

I further certify that I am not related to any of the parties thereto or their Counsel, and I am in no way interested in the outcome of said cause.

Dated at Burlington, Vermont, this 31st day of January, 2019.



JoAnn Q. Carson

Registered Merit Reporter

Certified Real Time Reporter