

STATE OF VERMONT
PUBLIC UTILITY COMMISSION

CASE NO. 19-1270-TF

IN RE: WASHINGTON ELECTRIC COOPERATIVE,
INC'S, TARIFF FILING FOR RATE DESIGN CHANGES
AND A CHANGE IN RATE SCHEDULES TO BE
EFFECTIVE ON SERVICES RENDERED BEGINNING
JUNE 17, 2019

October 22, 2019
10:30 a.m.

112 State Street
Montpelier, Vermont

Evidentiary Hearing held before the
Vermont Public Utility Commission, at the Susan M. Hudson
Conference Room, People's United Bank Building, 112 State
Street, Montpelier, Vermont, on October 22, 2019,
beginning at 10:30 a.m.

P R E S E N T

COMMISSION MEMBERS: Anthony Z. Roisman, Chairman
Margaret Cheney
Sarah Hofmann

STAFF: Kyle H. Landis-Marinello, General
Counsel
Andrea Poppiti, Utilities Analyst
Andrew Flagg, Environmental Analyst

CAPITOL COURT REPORTERS, INC.
P.O. BOX 329
BURLINGTON, VERMONT 05402-0329
(802) 863-6067
EMAIL: info@capitolcourtreporters.com

A P P E A R A N C E S

DANIEL BURKE, ESQUIRE

Appearing for the Vermont Department of Public Service
112 State Street
Montpelier, VT 05620-2601

DIAMOND & ROBINSON, P.C.

Appearing for Washington Electric Cooperative, Inc.
P.O. Box 1460
Montpelier, VT 05601-1460

BY: RONALD A.*SHEMS, ESQUIRE

INDEX

<u>Witness</u>	<u>Page</u>
Patricia Richards	
Cross Examination by Mr. Burke	11
Redirect Examination by Mr. Shems	40
Recross Examination by Mr. Burke	47
Carol Flint	
Direct Examination by Mr. Burke	50
Cross Examination by Mr. Shems	50
Cross Examination by Mr. Shems	70
Redirect Examination by Mr. Burke	71
Sean Foley	
Direct Examination by Mr. Burke	75
Cross Examination by Mr. Shems	76
Cross Examination by Mr. Shems	90
Redirect Examination by Mr. Burke	91
Recross Examination by Mr. Shems	92
Daniel Potter	
Direct Examination by Mr. Burke	94
Cross Examination by Mr. Shems	94
Cross Examination by Mr. Shems	129
Redirect Examination by Mr. Burke	133
<u>Exhibit</u>	<u>Admitted</u>
WEC-1-PR-1 through WEC-1-PR-8	5
WEC-9-PR-9 (1) and WEC-9-PR-9 (2)	5
WEC-Sup-PR-1 and 3	5
WEC-10-PR-10 and 11	5
WEC-10-JAS-1	5
WEC-11-JAS-2	5
WEC-12-JAS-3	5
WEC-13-JAS-4	5
WEC-14-JAS-5	5
PSD-CF-1 through 4	5
WEC-X-15-17	5

1 CHAIRMAN ROISMAN: Good morning. This
2 is an evidentiary hearing in Case No. 19-1270-TF,
3 Public Utility Commission's investigation into the
4 tariff filing of Washington Electric Cooperative
5 proposed rate design changes pursuant to 30 V.S.A.
6 Sections 225 and 226.

7 My name is Anthony Roisman, and I am
8 the chair of the Vermont Public Utility Commission.
9 With me today are Commissioner Margaret Cheney on my
10 right, and Commissioner Sarah Hofmann on my left, as
11 well as commission staff Andrea Poppiti on my left,
12 and Andy Flagg on my right.

13 And we will start with appearances.
14 Mr. Burke, I see you survived your appearance in
15 front of the Supreme Court.

16 MR. BURKE: I ended up not saying a
17 word to the Supreme Court.

18 CHAIRMAN ROISMAN: Those are the best
19 oral arguments.

20 MR. BURKE: Mr. Phillips and Mr. Dumont
21 did all the arguing today.

22 I'm Dan Burke on behalf of the
23 Department of Public Service. Also from the
24 Department today are witnesses in this case, Dan
25 Potter, Carol Flint and Sean Foley.

1 CHAIRMAN ROISMAN: Okay. And Mr.
2 Shems.

3 MR. SHEMS: Ron Shems from Washington
4 Electric Co-op. With me are Patty Richards, general
5 manager; Jason Strong, a witness; Cheryl Willette is
6 here observing. She's our chief financial officer.
7 And Emery Mattheis is a law student who is working
8 with us for a semester.

9 CHAIRMAN ROISMAN: Great. Thank you.
10 Welcome to you all. You've stipulated; thank you
11 very much. We love stipulations to the admission of
12 a list of exhibits, and it's been marked as Exhibit
13 Joint 1. It will be admitted into evidence at this
14 point as -- I think we will call it Commission
15 Exhibit Joint 1 just to make sure that it's
16 identified separate from all your other exhibits.

17 (The Prefiled Testimonies of Patricia
18 Richards, Jason Strong, Daniel Potter, Sean Foley and
19 Carol Flint were admitted into the record.)

20 (Exhibits marked WEC-1-PR-1 through 8,
21 WEC-9-PR-9 (1) and (2), WEC-SUP-PR-1 through 3,
22 WEC-10-PR-10, WEC-11-PR-11, WEC-10-JAS-1, WEC-11-JAS-2,
23 WEC-12-JAS-3, WEC-13-JAS-4, WEC-14-JAS-5, PSD-CF-1 through
24 4, WEC-X-15 through 17 were admitted into the record.)
25

1 Prefiled Testimony of Patricia Richards

2 <http://epuc.vermont.gov/?q=downloadfile/350413/140065>

3 Supplemental Testimony of Patricia Richards

4 <http://epuc.vermont.gov/?q=downloadfile/372790/140065>

5 Rebuttal Testimony of Patricia Richards

6 <http://epuc.vermont.gov/?q=downloadfile/378352/140065>

7 Prefiled Testimony of Jason Strong

8 <http://epuc.vermont.gov/?q=downloadfile/350483/140065>

9 Supplemental Testimony of Jason Strong

10 <http://epuc.vermont.gov/?q=downloadfile/372794/140065>

11 Rebuttal Testimony of Jason Strong

12 <http://epuc.vermont.gov/?q=downloadfile/378355/140065>

13 Direct Testimony of Daniel Potter

14 <http://epuc.vermont.gov/?q=downloadfile/375443/140065>

15 Direct Testimony of Sean Foley

16 <http://epuc.vermont.gov/?q=downloadfile/375444/140065>

17 Direct Testimony of Carol Flint

18 <http://epuc.vermont.gov/?q=downloadfile/375445/140065>

19 WEC-1-PR-1

20 <http://epuc.vermont.gov/?q=downloadfile/350414/140065>

21 WEC-2-PR-2

22 <http://epuc.vermont.gov/?q=downloadfile/381904/140065>

23 WEC-3-PR-3

24 <http://epuc.vermont.gov/?q=downloadfile/350415/140065>

25 WEC-4-PR-4

<http://epuc.vermont.gov/?q=downloadfile/350416/140065>

WEC-5-PR-5

<http://epuc.vermont.gov/?q=downloadfile/350447/140065>

WEC-6-PR-6

<http://epuc.vermont.gov/?q=downloadfile/350448/140065>

WEC-7-PR-7

<http://epuc.vermont.gov/?q=downloadfile/350449/140065>

WEC-8-PR-8

<http://epuc.vermont.gov/?q=downloadfile/350450/140065>

WEC-9-PR-9 (1)

<http://epuc.vermont.gov/?q=downloadfile/350468/140065>

WEC-9-PR-9 (2)

<http://epuc.vermont.gov/?q=downloadfile/350472/140065>

WEC Sup-PR-1

<http://epuc.vermont.gov/?q=downloadfile/372791/140065>

WEC Sup-PR-2

<http://epuc.vermont.gov/?q=downloadfile/372792/140065>

WEC Sup-PR-3

<http://epuc.vermont.gov/?q=downloadfile/372793/140065>

WEC-10-PR-10

<http://epuc.vermont.gov/?q=downloadfile/378353/140065>

WEC-11-PR-11

<http://epuc.vermont.gov/?q=downloadfile/378354/140065>

WEC-10-JAS-1

<http://epuc.vermont.gov/?q=downloadfile/350484/140065>

WEC-11-JAS-2

<http://epuc.vermont.gov/?q=downloadfile/350485/140065>

WEC-12-JAS-3

<http://epuc.vermont.gov/?q=downloadfile/350486/140065>

WEC-13-JAS-4

<http://epuc.vermont.gov/?q=downloadfile/350487/140065>

WEC-14-JAS-5

<http://epuc.vermont.gov/?q=downloadfile/350488/140065>

PSD-CF-1

<http://epuc.vermont.gov/?q=downloadfile/375446/140065>

PSD-CF-2

<http://epuc.vermont.gov/?q=downloadfile/375447/140065>

PSD-CF-3

<http://epuc.vermont.gov/?q=downloadfile/375448/140065>

PSD-CF-4

<http://epuc.vermont.gov/?q=downloadfile/375449/140065>

WEC-X-15

<http://epuc.vermont.gov/?q=downloadfile/382691/140065>

<http://epuc.vermont.gov/?q=downloadfile/382697/140065>

WEC-X-16

<http://epuc.vermont.gov/?q=downloadfile/382702/140065>

<http://epuc.vermont.gov/?q=downloadfile/382703/140065>

WEC-X-17

<http://epuc.vermont.gov/?q=downloadfile/382711/140065>

<http://epuc.vermont.gov/?q=downloadfile/382712/140065>

1 CHAIRMAN ROISMAN: And I see on it
2 there are cross examination exhibits, and I assume
3 those -- everyone has shared those with you.

4 Okay. We don't have those up here. So
5 if there are copies available for us, that might be
6 helpful.

7 MR. SHEMS: I have some excerpts. I
8 may go beyond the excerpts, but I don't have any
9 plans to.

10 CHAIRMAN ROISMAN: Okay. All right.
11 The Department have live surrebuttal?

12 MR. BURKE: We do not.

13 CHAIRMAN ROISMAN: Okay. We have a
14 witness list, and the first witness is Ms. Richards.

15 Mr. Shems? Mr. Shems, will you take
16 that microphone that was in front of Ms. Richards and
17 put it in front of you?

18 COMMISSIONER HOFMANN: That's a
19 telephone one. Do you see the big bigger one, Mr.
20 Shems? That one.

21 CHAIRMAN ROISMAN: Make sure the little
22 green light is on, and pull it very close to you. It
23 has a very short range.

24 MR. SHEMS: I tend to be soft spoken.

25 COMMISSIONER HOFMANN: We know.

1 CHAIRMAN ROISMAN: That's why we are
2 doing all of this.

3 MR. SHEMS: Remind me.

4 CHAIRMAN ROISMAN: And we appreciate
5 that you're soft spoken.

6 COMMISSIONER HOFMANN: But use the
7 microphone, please.

8 COMMISSIONER CHENEY: Good morning, Ms.
9 Richards.

10 MS. RICHARDS: Good morning.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

PATRICIA RICHARDS

Having been duly sworn, testified
as follows:

THE WITNESS: I do.

COMMISSIONER CHENEY: Thank you.

CROSS EXAMINATION

BY MR. BURKE:

Q. Good morning, Ms. Richards.

A. Good morning.

Q. Do you have in front of you copies of your
direct and your rebuttal testimony?

A. Yes, I do.

Q. And you have all of your exhibits as well?

A. Yes. Yes.

Q. I think I'm just going to have a couple of
questions. If you could start by turning to your rebuttal
testimony. Going to page four, and look at line 16. And
let me know when you get there.

A. Line 16?

Q. Yes. That's correct.

A. Okay.

Q. So you have a sentence -- a few sentences that
read: "The WEC Board of Directors, also members that are
democratically elected by the membership at large, are
charged with representing and conducting the business and

1 affairs of the Co-op. The board reached its decision
2 after a long and inclusive process which was highly member
3 driven. To ignore the board's wishes, members' interests
4 ascertained from focus groups, and other outreach and
5 efforts, and move to the PSD's proposal would be
6 inappropriate."

7 Now, in your role in WEC, do you participate
8 in any national organization or groups of electric co-ops?

9 A. Yes. We do.

10 Q. So is it fair to say you keep abreast of
11 regulatory policies for other electric co-ops in other
12 jurisdictions?

13 A. On a high level, yes.

14 Q. Do you know are there jurisdictions that have
15 maintained rate regulation for utilities but do not
16 require electric cooperatives to seek approval for rate
17 changes?

18 A. Yes.

19 Q. And that's fairly common for electric co-ops
20 in some states?

21 A. Yes.

22 Q. But Vermont has not changed that?

23 A. Correct.

24 Q. Now can you turn to your direct testimony.

25 And can you turn to page 16. Or excuse me. Page 26. Let

1 me know when you get there.

2 A. I'm also leafing through my corrected
3 testimony just to make sure that there is no --

4 Q. Okay. I don't think -- this isn't difference
5 between the direct and the corrected.

6 A. Okay.

7 Q. And so on line 11 of that testimony you refer
8 to a consultant that WEC hired to facilitate the focus
9 group work.

10 A. Yes.

11 Q. And on your Exhibit 8 you referred to a woman
12 named Susan Randolph from Vermont Private Eye, LLC. Is
13 that the consultant that you hired?

14 A. Yes, that's correct.

15 Q. And that's who you're referring to in this
16 portion of the testimony?

17 A. Yes.

18 Q. Now when you did survey work for the focus
19 groups, did you or someone at WEC prepare the actual
20 questions that were given to the focus group members?

21 A. We -- yes. We prepared the script, and that
22 was given to the consultant, and then the consultant -- we
23 worked with the consultant. We did a draft. Worked with
24 the consultant, and then the consultant ran with that
25 script.

1 Q. So you prepared the questions, but the
2 consultant effectively ran the meetings?

3 A. Yes. So I was not -- I was not in the
4 specifics of monitoring the exact script that they used
5 when they were doing the phone surveys.

6 Q. And the consultant aided you in identifying
7 the members that were invited to the focus group; correct?

8 A. Yes.

9 Q. And do you know if the survey questions that
10 you prepared -- let me take a step back. Excuse me.

11 When you were identifying the members that
12 were invited, do you know if you obtained what could be
13 considered as a statistically valid sample of WEC members
14 to participate? And I realize you're not a statistician.

15 A. Please expand on that question.

16 Q. Did you attempt to hire a firm, such as the
17 Castleton Polling Institute or the UVM studies group that
18 conducts statistically valid surveys?

19 A. So the consultant that we hired is an expert
20 in assembling groups of people such as focus groups.

21 Q. Okay.

22 A. And we vetted the process and the numbers.
23 The goal was to get more than 20 people participating in
24 the focus group, but we relied on their expertise in this
25 process and worked with the consultant to facilitate

1 setting up the focus group.

2 Q. And I'm assuming -- I think where I'm trying
3 to go -- I'm assuming when you're hiring a consultant cost
4 was a significant factor in your consideration for doing
5 the focus group?

6 A. It was certainly, you know, part of the
7 process. Yes.

8 Q. Okay.

9 CHAIRMAN ROISMAN: And let me ask a
10 follow-up question.

11 MR. BURKE: Certainly.

12 CHAIRMAN ROISMAN: In a typical polling
13 done by a professional polling organization, they
14 have a methodology that they use for deciding what is
15 a statistically significant number of people in
16 various categories, and they go through a rigorous
17 process. And somebody tells you that this many
18 people are going to vote for that person. They have
19 to have a reliable method that they can say, "Well, I
20 only talked to a hundred people, but I think it
21 represents what a thousand people would have said."

22 Do you know did this consultant that
23 you hired use that kind of a process to decide who
24 are the people who would be selected to be the
25 representative sample?

1 THE WITNESS: So my understanding of
2 the consultant's feedback regarding focus group work,
3 this is a different structure than just answering
4 questions via a poll. So it's a different
5 statistical process, different structural process to
6 carry out.

7 And their advice relative to assembling
8 groups of people to vet a particular topic, and this
9 is going to go back to my memory of when we were
10 setting up the focus groups, is she referred to it as
11 "The Rule of 7." And we wanted to get three groups
12 and seven people in a group to vet a particular
13 topic, and will lead to a rich discussion within the
14 group of seven. And having three different groups
15 asked the same sets of questions, gives you validity
16 in the focus group structure that if all three groups
17 come out with the same answer, then you're fairly
18 certain that that's representative of the membership
19 at large.

20 So we relied on their experience in
21 focus group work to guide us through this process.
22 So it's different than a polling as in a survey or
23 something structural like that where you need a
24 certain, you know, certain number, 100, 200 people to
25 be a representative sample.

1 CHAIRMAN ROISMAN: She had access to
2 your entire membership list?

3 THE WITNESS: So what we did is we
4 worked with her to comprise -- the people that she
5 was calling to assemble this group of people, between
6 20 and 30 was the goal to have participate in the
7 focus group. We looked for groups of high users,
8 medium users and low users. Different townships.

9 And to the extent that when they were
10 on the phone, they could tease out income
11 demographics, that was part of the structure of who
12 was chosen to come to the focus groups.

13 CHAIRMAN ROISMAN: And do you know
14 whether or not she managed to get in each of the
15 focus groups -- that range that you just described --
16 the income demographics, the location, the usage, et
17 cetera?

18 THE WITNESS: Yes.

19 CHAIRMAN ROISMAN: Okay. Thank you.

20 COMMISSIONER HOFMANN: Can you remind
21 me how many people -- how many customers WEC has?

22 THE WITNESS: Just under 11,000. It's
23 10,800.

24 MR. BURKE: I can move on from that.

25 BY MR. BURKE:

1 Q. And you've reviewed Ms. Flint's testimony that
2 she filed in this case; correct?

3 A. Yes.

4 Q. So you're aware she is making a general
5 recommendation about WEC implementing a low-income
6 assistance program?

7 A. Yes.

8 Q. Does WEC currently have any form of a low-
9 income assistance program?

10 A. No.

11 Q. And is the WEC board opposed to implementing a
12 low-income assistance program at some point in the future,
13 speaking generally?

14 A. Conceptually, I don't want to do a double
15 negative. We talked about a low-income offering as part
16 of the discussion over the last two years relative to rate
17 design. They are not opposed to it, but we have not
18 decided on anything.

19 Q. Does WEC's current rate design currently
20 include time-of-use rate?

21 A. Yes.

22 Q. How many customers take time-of-use rate?

23 A. Zero.

24 Q. Does WEC currently have an end-use electric
25 vehicle rate?

1 A. No.

2 Q. Does WEC have any other end-use-specific rates
3 for technologies, like for example, for heat pumps, water
4 heaters or residential storage?

5 A. No.

6 Q. Can you turn to page 12 of your rebuttal
7 testimony. And I'm going to direct you to line 5, and you
8 have a sentence on that page that reads: "In short, the
9 Department's position with GMP, taken less than a year
10 ago, stands in sharp contrast with its position that WEC
11 immediately go as far as possible towards strategic
12 electrification without regard to balance, affordability
13 or other important policy considerations."

14 So is it correct for me to assume from your
15 testimony that you've read Mr. Allen's testimony from
16 GMP's recent rate design case?

17 A. Yes.

18 Q. Did you review any of the testimony from GMP's
19 witnesses in that case?

20 A. No.

21 Q. Were you aware when you wrote this testimony
22 that GMP's proposed rate design from that case did not
23 include a tail block rate?

24 A. No.

25 Q. Are you aware generally that GMP has a flat

1 kilowatt rate for residential customers?

2 A. Yes.

3 Q. Are you aware that GMP's rate design includes
4 multiple time-of-use rates?

5 A. No.

6 Q. Are you aware that when GMP filed its rate
7 design it currently had -- then had a pilot program that
8 included EV end-use rates for customers?

9 A. Ask that question again.

10 Q. Are you aware that when GMP filed its rate
11 design case that was reviewed at the commission last year,
12 that it had an ongoing program that provided an end-use
13 electric vehicle rate for its customers?

14 A. I'm aware that they have an electric vehicle
15 rate, but timing relative to their case, I'm not going to
16 tie those two together.

17 Q. And do you know that they currently have a
18 proposed EV tariff pending before the commission?

19 A. I'm generally aware. I'm not aware of the
20 details.

21 Q. And do you know that GMP has also recently
22 filed proposed tariffs for residential battery storage
23 that are currently under review by the commission?

24 A. Generally, in concept, yes.

25 Q. Are you aware that GMP's rate design included

1 various demand response riders for commercial and
2 industrial customers?

3 A. No.

4 Q. Does WEC's rate design include demand response
5 riders for commercial and industrial customers?

6 A. For large customers, yes.

7 Q. Can you turn to your Exhibit 11 which is
8 actually Mr. Allen's testimony from that GMP case which,
9 for the record, was Docket 18-2840-TF.

10 MS. POPPITI: I think it was 2850, Dan.

11 MR. BURKE: 2850. Excuse me. Okay. I
12 probably mislabeled Mr. Allen's testimony in that
13 case.

14 BY MR. BURKE:

15 Q. And it's actually the last page of that
16 testimony. And can you turn to line 7 and read the
17 sentence that begins with the word "while." Can you read
18 that out loud into the record?

19 A. "While GMP's petition is not deficient with
20 respect to the rate class reallocation, the Department
21 believes it is necessary to develop more innovative rate
22 design structures that better respond to state energy
23 policy and reflect the new technologies that GMP is
24 implementing through its innovative service offerings."

25 Q. And those are actually all the questions I

1 have for Ms. Richards.

2 CHAIRMAN ROISMAN: Mr. Shems, do you
3 have any --

4 COMMISSIONER HOFMANN: I have some.

5 CHAIRMAN ROISMAN: Okay. Sorry.
6 Excuse me.

7 COMMISSIONER HOFMANN: Hi, Ms.
8 Richards.

9 THE WITNESS: Hello.

10 COMMISSIONER HOFMANN: I want to talk
11 about the phase-in for a minute. You address that in
12 your testimony.

13 The Department is recommending a
14 phase-in over three years at four steps. And you're
15 saying that's going to be very complicated.

16 THE WITNESS: Yes.

17 COMMISSIONER HOFMANN: Can you tell me,
18 is there something in the middle between no phase-in,
19 and four steps over three years? Would WEC consider
20 -- would WEC have the same response to something
21 let's say a two-part phase-in over three years?

22 THE WITNESS: My concern with phasing
23 it in at all, I would rather use the Band-Aid
24 metaphor of ripping the Band-Aid off and doing it in
25 one shot, because we still have continual rate

1 pressure in future years.

2 So in the event we are phasing in the
3 rate design, and then we have an across-the-board
4 rate increase on top of it, it becomes very confusing
5 for consumers, for members, to understand what part
6 is an across-the-board rate increase, what part is
7 the rate design.

8 And our preference is to do it in one
9 shot, get it done, and then when we have a rate --
10 across-the-board rate increase, we can communicate to
11 the membership why that rate increase is being
12 implemented and for what reasons those cost drivers
13 apply.

14 COMMISSIONER HOFMANN: So am I hearing
15 within that that there also is the concern about the
16 rate erosion? In other words, if you phase it in,
17 you are not going to get the rates you need. You may
18 have to do more rate increases in the future.

19 THE WITNESS: Yes. Yes.

20 COMMISSIONER HOFMANN: The Department
21 -- when was the last rate design WEC did?

22 THE WITNESS: 2009.

23 COMMISSIONER HOFMANN: 2009. So the
24 Department's testimony that it happens about every 10
25 years is spot on; is that correct?

1 THE WITNESS: In the past.

2 COMMISSIONER HOFMANN: So is that
3 correct?

4 THE WITNESS: I would say in the past
5 that is what has happened. I would not say that's
6 indicative necessarily of the future.

7 COMMISSIONER HOFMANN: One of the
8 things I'm reading in the Department's testimony is
9 their concern that if the rate design doesn't occur
10 for 10 years, that's a long time. This is going to
11 the -- whether you leave the one inclining block rate
12 to the 100 kilowatts.

13 Has WEC talked about doing more
14 frequent rate design, so you don't wait the 10 years,
15 so this isn't locked in for 10 years?

16 THE WITNESS: We have conceptually
17 discussed coming back to do -- doing another rate
18 design look shorter than a 10-year window.

19 COMMISSIONER HOFMANN: Okay. And what
20 kind of time window are you talking about?

21 THE WITNESS: I don't have a magic
22 number. But something less than 10 years. So
23 potentially in the five-year level.

24 COMMISSIONER HOFMANN: You expressed
25 concern about if the Department's proposal to

1 eliminate the 100 kilowatt inclining block rate, that
2 it will be a big increase for people who have been
3 within that under 200 kilowatt usage level; is that
4 correct?

5 THE WITNESS: Yes.

6 COMMISSIONER HOFMANN: Okay. And I
7 think on page 8 of your rebuttal you indicate that
8 the bill would increase 64 percent under the PSD's
9 proposal.

10 Have you also -- and you say that is
11 simply, I think, too extreme and dramatic in your
12 testimony; is that correct?

13 THE WITNESS: Yes.

14 COMMISSIONER HOFMANN: You don't think
15 the same thing is true for what you're talking about
16 with the customer charge where it's going from 14 to
17 25? You don't think that's extreme or dramatic?

18 THE WITNESS: I do not.

19 COMMISSIONER HOFMANN: And why is that?

20 THE WITNESS: In looking at other
21 utilities in the northeast and nationally, the trend
22 is for higher monthly customer charges. And in
23 general, many services that people experience today,
24 for example, cell phone, cable packages, tend to have
25 a higher monthly customer charge rather than relying

1 on a variable rate.

2 I think going from 14 to 25 is more
3 indicative of what people experience in other
4 utility-like pricing structures.

5 COMMISSIONER HOFMANN: Do you think
6 there is any truth to the idea that if you put more
7 things into the energy rate, into your kilowatthour
8 rate, that it sends more accurate price signal to
9 customers?

10 THE WITNESS: I do not agree with that.

11 COMMISSIONER HOFMANN: Okay. Why don't
12 you agree with that?

13 THE WITNESS: I disagree with that
14 because the driving cost of the utility in terms of
15 fixed cost -- more of our cost structure do lie on
16 the fixed component. And I think the way that we
17 have the energy rates structured currently, with most
18 of it being captured in the variable component, is a
19 disconnect between what the reality is for the
20 utility in terms of what we are experiencing as cost,
21 and what the consumer sees as a price signal.

22 So I do think evolving toward a higher
23 monthly customer charge, but doing it in a step -- a
24 slow fashion -- is a better approach than doing a
25 significant change from 14 to a much higher price. I

1 think, in general, consumers need to start seeing
2 that shift so they understand the reality of these
3 are the cost drivers for the utility. And then their
4 behavior -- if we send the right price signal, will
5 change accordingly to what is reality.

6 COMMISSIONER HOFMANN: And is a lot of
7 this driven by -- in terms of the fixed -- the
8 customer charge, driven by the fact that you do have
9 customers fairly wide spaced? In other words, your
10 customers per mile -- you have less per mile than
11 obviously a GMP or some of the other utilities.

12 THE WITNESS: I think that, in general,
13 our fixed costs tend to be similar as other
14 utilities. I think our fixed costs are going to be
15 higher because of the less density that we have. But
16 in general, just conceptually, if you look at a
17 utility's cost structure, the majority of the costs
18 do tend to be -- end up in the fixed bucket, if we
19 were to really charge them as fixed.

20 Again, WEC is going to be a little
21 higher because of its low density, but in general, I
22 think that structure is applicable across utilities.

23 COMMISSIONER HOFMANN: Thank you.

24 MS. POPPITI: Okay. Just to follow up
25 on some questions that Mr. Burke was asking you

1 related to Carol Flint's testimony.

2 Is WEC opposed to working closely with
3 the Department to monitor the impacts on low income
4 and low-use members?

5 THE WITNESS: We are not opposed to
6 monitoring the impacts on our low use and low-income
7 members.

8 MS. POPPITI: Okay. So the -- the
9 proposal that the Department put forth as a
10 requirement in Carol Flint's testimony that WEC work
11 closely with the Department to monitor impacts on low
12 income low-use customers and jointly develop a plan
13 to mitigate the impact on low-income customers is
14 agreeable to WEC?

15 THE WITNESS: They haven't identified a
16 plan per se, but the concept of monitoring the impact
17 of our rates on the low users and the low income, is
18 something that we would want to pay attention to.

19 MS. POPPITI: And so developing a plan
20 would be kind of taking it to the next step.

21 THE WITNESS: I don't know what that
22 framework would look like, so I'm not able to state
23 today that I would agree to anything specific because
24 I don't know what that specificity is at this point.

25 MS. POPPITI: But the idea would be to

1 develop a plan together, so is that --

2 THE WITNESS: If we could reach
3 agreement, yes.

4 MS. POPPITI: Okay. And regarding the
5 low-income program idea, can you give us some more
6 context on where WEC is in relation to that?

7 THE WITNESS: So when we discussed the
8 rate design in general, the idea of a low-income
9 program was discussed. And specifically, we looked
10 at GMP's low-income program.

11 And the Board of Directors -- there are
12 some aspects of that program that the board liked.
13 There were other aspects that were a concern in terms
14 of how we charged for it. And it's a complicated
15 program or structure to put in place. And we felt
16 that the rate design was complicated enough at this
17 time, so we wanted to get this -- our proposal out
18 for the rate design and get that done.

19 And I do think that some discussion --
20 continued discussion on the low income will happen
21 with the Board of Directors. But the -- specifically
22 what we looked at was the GMP model.

23 MS. POPPITI: Okay.

24 THE WITNESS: I'm not saying that's
25 what we would agree to, but that's what was

1 discussed.

2 MS. POPPITI: Right. Okay. And then
3 regarding the phase-in, I guess my preliminary
4 question is; do you have an estimated date when WEC
5 would file a request for a rate increase? I think
6 you mentioned in your testimony within the year. Or
7 is that something that is more certain now?

8 THE WITNESS: We are in the current
9 stage of looking at our rates for January 2020, so we
10 are in process right now.

11 MS. POPPITI: Got it. Okay. So within
12 the next few months there would be a filing?

13 THE WITNESS: If we filed for January 1
14 implementation date, we would file by November 15.

15 MS. POPPITI: Got it. Okay. And then
16 regarding the time-of-use and EV rates, the
17 Department has put forth a six-month time line. Is
18 there a time line that you think is more appropriate?

19 THE WITNESS: Certainly longer than six
20 months. I think that's far too aggressive for us to
21 respond to a time-of-use rate, an EV rate.

22 MS. POPPITI: Would one year be more
23 appropriate?

24 THE WITNESS: I'm a little squirmy
25 about even a year, to be honest with you. I really

1 want to look thoughtfully at concepts of time-of-use
2 and not just pick something off the shelf and try to
3 stuff it in to make it work at WEC. I would like to
4 better understand what's effective, what are best
5 practices now, and maybe what might be out-of-the-box
6 thinking in that space.

7 MS. POPPITI: Okay. That's all I have.

8 CHAIRMAN ROISMAN: You mentioned the
9 low income low-use customer. Do you have data as to
10 whether or not -- what percentage of the low-income
11 members are actually medium and high-use customers
12 due to inefficient equipment, they're heating with
13 electric, and they don't have insulation, et cetera.
14 Do you have any data on that?

15 THE WITNESS: So we do not collect
16 income data for our membership. So it's difficult
17 for me to say I have specific data for WEC members to
18 answer that directly.

19 Indirectly, I looked at GMP's low
20 income or actually their entire low-income customer
21 participation and looked at their low-income data
22 relative to usage levels, and made an assumption that
23 I don't believe WEC's members are going to deviate
24 dramatically from GMP's given we are all in the same
25 state.

1 It's -- GMP also serves areas of our 41
2 towns, so there is some overlap, so I think it's not
3 a large leap to make an inference that their usage
4 level for low-income customers have some
5 applicability to what WEC's actual low-income members
6 would be.

7 When I look at their data set, low
8 income tend to be more in the middle of the pack or
9 higher usage than they do, in general, low usage, to
10 me which makes sense. Because there are a lot of
11 low-income households that can't afford
12 weatherization, they can't afford modern appliances,
13 they can't afford the latest home heating system. So
14 they are stuck with end uses and homes that tend to
15 be more energy intensive including electricity.

16 So my belief from looking at GMP's data
17 just anecdotally, with your high-user customers that
18 have trouble paying their bill, they tend to be low
19 income.

20 CHAIRMAN ROISMAN: Does WEC have any
21 specific programs to help that class of customers get
22 weatherization or improving efficiencies in other
23 ways?

24 THE WITNESS: We do through our Tier
25 III program. We have extra incentive dollars for

1 low-income members that we work with Capstone to
2 encourage anybody that's qualifying to go through the
3 Capstone process. You know, we send dollars towards
4 Capstone to do that work. And then Capstone also has
5 a program for them depending on their income levels.

6 CHAIRMAN ROISMAN: And is the
7 participation rate as high as you are willing to
8 provide support for or not?

9 THE WITNESS: So the participation rate
10 in that program is increasing. And as we continue
11 with Tier III, we expect to see that participation
12 continue to grow as we continue to advertise and
13 promote and foster that partnership with Capstone.

14 CHAIRMAN ROISMAN: Thank you.

15 MR. FLAGG: I would like to ask you
16 about the goals and objectives. And so I see on --
17 I'm looking at your corrected prefiled testimony from
18 August 16. On page 8. So on line 19, you stated
19 that the policy has worked, and that over the past
20 decade WEC has experienced annual reductions in the
21 average energy consumption. Is that --

22 THE WITNESS: Yes.

23 MR. FLAGG: Are you there? Yes. And I
24 assume that's kind of a metric that you could, you
25 know, reflect on the current rate design and say,

1 hey, that worked. That met our intentions.

2 On the previous page, on page 7, at
3 line 13, you say that WEC's goals of energy
4 efficiency and conservation remain a primary focus.
5 That's your --

6 THE WITNESS: Yes.

7 MR. FLAGG: Okay. And then in your
8 rebuttal testimony on page 14 at line 1 and 2, you
9 say the primary goal of WEC's proposed rate design is
10 to increase strategic electrification. Is that true?

11 THE WITNESS: Yes.

12 MR. FLAGG: Okay. So what I'm
13 wondering about is how WEC would propose, and what
14 specific metrics would you use, to determine whether
15 or not in the same kind of reflective way that you're
16 currently able to do with reduction of electricity,
17 that you would be able to determine that -- if the
18 proposed rate structure was implemented, that it
19 would -- you could look back and say this is a
20 success. What metrics and targets would you use to
21 determine whether or not the rate design has been
22 effective in meeting your goal?

23 THE WITNESS: It's a big question. I
24 don't have specific metrics laid out to say these are
25 the things we are going to check off to evaluate this

1 rate design. But I think, in general, as we see
2 customers -- we want to see them continue to use
3 energy wisely. We don't want to implement a rate
4 design where it becomes let's electrify everything,
5 but use really bad technology to do that. To the
6 extent that we grow -- we grow responsible electric
7 use in terms of electric vehicles and it's displacing
8 some fossil fuel form, that we would consider this
9 rate design a success as we move toward that -- that
10 trend.

11 MR. FLAGG: Do you have --

12 THE WITNESS: So increased electric
13 vehicles, increased cold-climate heat pumps. To the
14 extent we are moving off of fossil fuel, and toward
15 electrification, I think that this is a success.

16 I'm not looking to have people just use
17 electricity wildly and irresponsibly. But rather to
18 replace fossil fuel driven sources. And maybe this
19 is something we get at during a survey just to probe
20 that -- to probe those kinds of questions to find out
21 if this is being effective or not.

22 I don't have a metric say in my toolbox
23 to say this is how we would evaluate it. But
24 potentially in a survey-type vehicle we could get at
25 that.

1 MR. FLAGG: Okay. So I guess then
2 would it be accurate to say that the proposal that's
3 on the table at this point you don't have a way to
4 measure whether or not it's going to be successful or
5 not?

6 THE WITNESS: I don't -- again, I don't
7 have a prescribed evaluation device tool to evaluate
8 it at this time. I'm just going to leave it at that.

9 MR. FLAGG: Okay. Thank you.

10 MR. LANDIS-MARINELLO: Ms. Richards, I
11 know in your corrected testimony page 30 you
12 mentioned that when you looked at these three
13 options, that option one which is the status quo, was
14 also a very popular option with members.

15 So are there members who are asking for
16 a change in rate design, or are members pretty happy
17 with the current rate design WEC has? I know I've
18 heard about where the board is, but what about
19 members? Do you have a sense of that?

20 THE WITNESS: My sense -- this is
21 anecdotally from being at WEC for six years. Those
22 consumers that tend to use higher amounts of
23 electricity really dislike our current rate structure
24 because of the tail block being larger than 25 cents
25 a kilowatthour. So those folks that use really feel

1 -- just a large family, you have a large footprint
2 for a house, maybe you have a business at your house,
3 they tend to dislike our very high tail block.

4 MR. LANDIS-MARINELLO: And what is
5 members' sense of that initial block being 200 KW
6 versus moving that to 100 KW?

7 THE WITNESS: From the focus group --
8 my take away from the focus groups were that they
9 really wanted to offer some amount of a low-energy
10 initial block. They just felt that was the right
11 thing to do. That was my general take away.

12 We did put in front of them one energy
13 rate structure, and I was surprised how little that
14 attracted people supporting that. I was very
15 surprised that more people didn't want to do that, to
16 be honest with you.

17 MR. LANDIS-MARINELLO: And so 100 KW or
18 less, is that mostly net-metered customers who are
19 actually achieving that? Or do you have a lot of
20 customers who are actually able to get their bill
21 below 100 without net metering?

22 THE WITNESS: It's a small group that
23 would be less than 100 kilowatthours. But I think
24 about it just from the flip that everybody uses a
25 hundred kilowatthours, the vast majority. 95 percent

1 use at least a hundred kilowatthours. And having a
2 slice that's fairly inexpensive allows at least some
3 of the basic needs of electricity to be met with a
4 very low energy rate component.

5 MR. LANDIS-MARINELLO: And I guess I'm
6 thinking though about incentivizing customers to use
7 less energy. The original reason for the 200 KW.
8 That the 200 KW makes sense to me from that
9 standpoint. But I'm struggling with if the 100 KW
10 will actually achieve that, or if people see it more
11 as just part of the fixed rate, a discount on what
12 the fixed rate is.

13 THE WITNESS: From the focus group
14 response, they felt that was a fairness issue. For
15 those people that really strived to be low users,
16 they have to have made some sort of investment in
17 terms of taking devices out of their homes,
18 converting those devices to some other fuel use to
19 become a low-use member.

20 During the focus group work the members
21 of the focus group felt it was -- it would be unfair
22 for us to completely eliminate that low block because
23 all these folks had worked hard to become low users.
24 So their rationale of keeping a low block was the
25 fairness and equity that to become a low user you

1 probably had to replace refrigerators and electric
2 devices and maybe convert some of those to hot water
3 heating system from electric to propane or some other
4 fuel source. And they felt it was a fairness issue
5 to at least retain that structure because people
6 probably paid money to weatherize homes and invest so
7 that they could become a low user and they wanted
8 some degree of low use.

9 MR. LANDIS-MARINELLO: But wouldn't it
10 be more fair to that group to keep it at the 200 KW
11 for that initial block?

12 THE WITNESS: In order to move the
13 energy rates around and accomplish other goals, we
14 had to reduce the 100 kilowatthour or had to reduce
15 the low block from 200 to 100. It allowed us
16 flexibility to be able to move the other billing
17 determinants around in the rate.

18 CHAIRMAN ROISMAN: And as I understand
19 it, in the current rate, once you get over the 200,
20 it's a pretty high price?

21 THE WITNESS: Yes.

22 CHAIRMAN ROISMAN: And what the sort of
23 compromise, if you will, that you've come to is that
24 block at the bottom will go down, but that next level
25 will also go down.

1 THE WITNESS: Right.

2 CHAIRMAN ROISMAN: So maybe you'll be
3 less likely to drive someone to a propane hot water
4 heater.

5 THE WITNESS: Right.

6 CHAIRMAN ROISMAN: Which I take it
7 would be counter to what one of your goals is which
8 is to get rid of the carbon sources and have them be
9 renewable or not used at all; correct?

10 THE WITNESS: Yes. That is correct.

11 CHAIRMAN ROISMAN: Anything else? Now
12 Mr. Shems. Sorry. That was a --

13 MR. SHEMS: Thank you.

14 REDIRECT EXAMINATION

15 BY MR. SHEMS:

16 Q. In focus groups did members understand why we
17 were doing the rate design?

18 A. Yes.

19 Q. And please explain how they reacted to that?

20 A. So I explained that there were state laws that
21 were enacted, and that also WEC was concerned about
22 climate change. And certainly they didn't understand all
23 the details of the state law, but understood there were
24 these other driving principles. And, in general, they
25 understood that -- this is my take or my perception of

1 their understanding -- is that they understood that what
2 we are trying to do is to accomplish -- by changing the
3 rates, WEC is moving to try to accomplish those bigger
4 goals.

5 Q. And were they supportive of that?

6 A. Again, in general, I would say yes. This is
7 my perception of a group of 19 people that showed up.

8 Q. We talked about weatherization and the work
9 you're doing with Capstone. How many utilities do
10 weatherization?

11 A. As part of Tier III?

12 Q. A-hum.

13 A. My understanding is no one else does it other
14 than WEC.

15 Q. To clarify on the questions of low use and low
16 income. Approximately what percentage of the low-income
17 members would benefit on WEC's proposal here?

18 A. So if I look at the GMP low-use data, it's
19 well over half of their customers are above 500
20 kilowatthours. And we -- in our rate design, it's the 200
21 kilowatthour lower that see the biggest impact on our rate
22 design. But that leaves -- and there is about 25 percent
23 that are -- and this is roughly, I have to look at the
24 numbers to get precise numbers, but 200 and less is
25 roughly 25 percent of the customer base. So greater than

1 200 kilowatthours is three quarters of our customer base.

2 And of that group 500 kilowatthours and
3 higher, which a large amount of the low-income people tend
4 to fall into that category in terms of usage, they will
5 actually see a reduction of their bill under our proposed
6 rate design.

7 Q. Okay. You got some questions as to whether we
8 are willing to come back in less than 10 years for the
9 rate design. Would it make sense to develop metrics to
10 determine what we come back for in 10 years? I mean in
11 five years or seven years or whenever we come back?

12 A. I think maybe the metric is when we come back.
13 I think staying out for 10 years is too long in this -- in
14 this period of utility innovation. So certainly less than
15 10 years. And I don't know if that's between -- closer to
16 5, but certainly less than 10 years.

17 Q. But we develop some metrics to know what we
18 are going to come back and propose in less than 10 years.

19 COMMISSIONER HOFMANN: Is that a
20 question? I'm sorry, Mr. Shems. Was that a
21 question? I just didn't hear.

22 BY MR. SHEMS:

23 Q. Would WEC develop some metrics?

24 A. I don't know what the metrics you're referring
25 to would be.

1 Q. Okay. Let me back up. How would WEC develop
2 a proposal for rate design let's say five years from now?

3 A. I don't know at this point in time.

4 CHAIRMAN ROISMAN: Let me try what I
5 think Mr. Shems is getting at. You've laid out a
6 number of goals that you hope that this new rate
7 design will achieve. And at some time period, maybe
8 five years just for picking a number, you could take
9 a look and see how are we doing. Did we see some
10 changes that we are going in the right direction, or
11 did we see some places where it wasn't getting there,
12 or it was even going in the wrong direction. And I
13 think what he's asking you is do you have some plan
14 in place to take a look at some period before 10
15 years, maybe even before five years, and see is this
16 rate design working the way we thought it should.
17 And if not, should we go in now and ask for a new
18 rate design.

19 THE WITNESS: I mean I think it goes to
20 the question earlier about specific metrics, and I
21 just don't have that in hand. But one of the things
22 that we would certainly be looking at is the pace and
23 deployment of EVs, pace and deployment of cold
24 climate heat pumps, member usage levels. You know,
25 whether we are achieving beneficial electrification

1 or not.

2 BY MR. SHEMS:

3 Q. No. I understand you don't have it in hand
4 now, but it's something that could be developed between
5 now and five or seven years from now?

6 A. Yes. Something could be developed, but I
7 don't have specifics on that now.

8 Q. We talked about fixed costs. How many members
9 does WEC have on average per mile of line?

10 A. Eight customers per mile on average.

11 Q. And how does that compare with other
12 utilities?

13 A. We are the least dense utility in the state,
14 meaning we have the fewest customers per mile. That
15 compares to the most dense being Burlington Electric
16 Department which is well over a hundred customers per
17 mile. And I don't know the numbers off the top of my
18 head, but we are the least dense.

19 Q. And does that have an impact on our fixed
20 costs?

21 A. Yes.

22 Q. Does it make them higher?

23 A. Yes. That makes them higher.

24 Q. Do you know what the fixed costs are per
25 customer per month?

1 A. If we were to -- I think you're asking if we
2 had all of our fixed cost loaded into the monthly customer
3 charge.

4 Q. Yes.

5 A. Based on the analysis that CFC did with Jason
6 Strong, that number is just under \$90 a month. \$89 and
7 change. So if we had all of our fixed cost in the monthly
8 customer charge, it would be just under \$90 a month.

9 Q. You had gotten some questions about an EV
10 rate. Does that require a separate meter?

11 A. Depending on the structure of the EV rate, it
12 could. And WEC is concerned about having multiple meters
13 for various end uses in a customer's house. It becomes,
14 you know, kind of stress testing that. I don't want to
15 have 10 meters at a particular home to measure every
16 single end use, particular end use in a home. I just
17 think that's -- that would be a complicated and costly
18 approach to measuring usage.

19 COMMISSIONER HOFMANN: Can I ask just a
20 follow up? Something I don't know. Would each of
21 those meters be -- have a separate customer charge?
22 Or just one customer charge for the household?

23 THE WITNESS: That would be a good
24 question.

25 COMMISSIONER HOFMANN: Okay. You don't

1 know either?

2 THE WITNESS: I haven't thought about
3 that. That's a good question, Sarah.

4 COMMISSIONER HOFMANN: Sorry. I didn't
5 know. So --

6 THE WITNESS: We would have to read
7 each meter. There would be a bill for each meter.
8 It's a good question.

9 BY MR. SHEMS:

10 Q. You also answered some questions about
11 time-of-use rate. Does WEC have the technology to do a
12 sophisticated time-of-use rate like hourly rates?

13 A. So if we were to do like -- and there is many
14 versions of a time-of-use rate. If we were to do a --
15 trying to send a price signal on an hour-by-hour basis, we
16 can't do that for our entire membership base because the
17 AMI system that we have, the advanced meter, I don't know
18 what the I stands for.

19 Q. Infrastructure.

20 A. Infrastructure, smart meters that WEC has, we
21 do not read hourly data for our customers in aggregate.
22 We are able to read each of the meters. We take one
23 reading for the entire day's use. The meters in theory
24 have the capability to read hourly, but the systems in
25 terms of the power line carrier system we have, and our

1 back room office systems for computer technology, when we
2 tried to do that initially, the systems crashed and
3 bombed. We were not able to do that. So we only read the
4 meters once, and we collect the prior day's use as one
5 data point rather than hour-by-hour.

6 Q. Do you know approximately how much it would
7 cost to be able to do an hour by hour or to get the
8 technology and implement it to do hour by hour?

9 A. My understanding it would be a redeployment of
10 the entire AMI system which would be many millions of
11 dollars.

12 Q. Would the many millions of dollars -- would
13 that necessitate a rate increase?

14 A. I would presume, yes.

15 MR. SHEMS: I have no further
16 questions. Thank you.

17 CHAIRMAN ROISMAN: Mr. Burke.

18 MR. BURKE: I had just one
19 clarification.

20 RECROSS EXAMINATION

21 BY MR. BURKE:

22 Q. When you were talking about the low income
23 low-use customers, you referred to this rate design having
24 the greatest impact. When you're saying greatest impact
25 you're referring to the percentage and not the dollar

1 amount; correct?

2 A. I'm referring to the numbers of customers --
3 low -- the number of low-income customers, not
4 percentages.

5 Q. But if you had a low-income customer that used
6 1,500 kilowatts per month, the dollar difference would be
7 larger than the 200 kilowatt customer?

8 A. Yes.

9 Q. But the overall percentage would probably be a
10 smaller change?

11 A. Yes.

12 MR. BURKE: That's all.

13 CHAIRMAN ROISMAN: Ms. Richards, thank
14 you very much.

15 THE WITNESS: Thank you.

16 CHAIRMAN ROISMAN: On the chart it says
17 Mr. Strong is mute. No one wants to ask him any
18 questions.

19 MR. BURKE: I have no cross examination
20 for him.

21 CHAIRMAN ROISMAN: Well Mr. Strong,
22 it's nice to see you again.

23 MR. STRONG: Nice to see you all as
24 well. Thank you.

25 CHAIRMAN ROISMAN: Okay. So the next

1 witnesses are the Department's. I see you looking at
2 your clock.

3 MR. BURKE: I am looking at my watch.
4 I spoke with Ms. Poppiti in advance of the hearing.
5 I think the structure -- Mr. Potter is unavailable
6 tomorrow. I know Mr. Shems has reserved three hours
7 for cross examination for him. I've been informed
8 that that is a potentially conservative estimate. I
9 think that's the hope.

10 So our plan was to try to have Ms.
11 Flint and Mr. Foley testify before the lunch break.
12 And I think if you're okay with that, we are going to
13 still proceed with that order.

14 CHAIRMAN ROISMAN: Sure.

15 MR. BURKE: So Ms. Flint. Or the
16 Department calls Carol Flint.

17 COMMISSIONER CHENEY: Good morning, Ms.
18 Flint.

19 MS. FLINT: Good morning.
20
21
22
23
24
25

1 CAROL FLINT

2 Having been duly sworn, testified
3 as follows:

4 THE WITNESS: Yes. I do.

5 COMMISSIONER CHENEY: Thank you.

6 CHAIRMAN ROISMAN: You're welcome.

7 DIRECT EXAMINATION

8 BY MR. BURKE:

9 Q. Ms. Flint, you have copies of your testimony
10 and all exhibits in front of you; correct?

11 A. Yes.

12 Q. Can you just confirm there is no need to make
13 any corrections or revisions to your --

14 A. Not that I'm aware of at this time. Thank
15 you.

16 MR. BURKE: Ms. Flint is available for
17 cross examination.

18 CHAIRMAN ROISMAN: Mr. Shems?

19 CROSS EXAMINATION

20 BY MR. SHEMS:

21 Q. Good morning, Ms. Flint.

22 A. Good morning.

23 Q. You have some concerns about the effect of
24 WEC's proposal on low income low-use members; is that
25 correct?

1 A. Yes.

2 CHAIRMAN ROISMAN: I know you're going
3 to look at the witness. Put it over here right on
4 the corner so that you're talking towards the
5 microphone.

6 COMMISSIONER HOFMANN: It may not go
7 that far.

8 MR. SHEMS: I'll have it right here.

9 CHAIRMAN ROISMAN: Okay. All right.

10 Thank you.

11 BY MR. SHEMS:

12 Q. The Department's proposal would exacerbate
13 those concerns; is that right?

14 A. Yes, that's true.

15 Q. And the WEC members using approximately 200
16 kilowatthours per month would see 60 percent or more rate
17 increase under the Department's proposal?

18 A. Are you asking me to confirm something that's
19 in my testimony? Can you draw -- I can't do math on the
20 fly.

21 Q. It's on page 4 of 5 of the prefiled.

22 A. Thank you. That's what it says. Yes.

23 Q. And let's assume that the rate -- back up.
24 Under the Department's proposal the energy rate would be
25 17 cents per kilowatthour approximately; is that right?

1 A. I'm sorry. Again, where are you seeing that
2 in my testimony or is that --

3 Q. That's in Mr. Foley's testimony.

4 A. I prefer that you ask Mr. Foley about his
5 testimony, if that's okay.

6 Q. If the energy rate of the Department's
7 proposal were to be higher, would your concerns also be
8 greater here?

9 A. Again, I think that's question specific to the
10 energy may be better asked of Mr. Foley. If you're asking
11 me if I would be concerned about very low-income people
12 affording a higher cost of electricity, then, of course, I
13 would say yes to that question. Is that fair?

14 Q. Yes. That's fair.

15 MR. SHEMS: Those are the only
16 questions I have for Ms. Flint.

17 MR. BURKE: It's more than she usually
18 gets.

19 MS. POPPITI: Hi.

20 THE WITNESS: Hello.

21 MS. POPPITI: On page 10 of your
22 testimony, you talk about recommending that the
23 commission condition its approval on a requirement
24 that WEC work closely with the Department to monitor
25 impacts on low income low-use customers and jointly

1 develop a plan to mitigate the impact on low-income
2 customers; is that correct?

3 THE WITNESS: Yes, that's true.

4 MS. POPPITI: Could you expand a bit on
5 what you would envision a plan to mitigate the impact
6 on low-income customers would look like?

7 THE WITNESS: I think that could depend
8 on a variety of both interest on WEC's part, and what
9 kinds of things they start to see if they were to
10 implement either their original proposal or the
11 Department's recommended proposal or something else.

12 So there is a lot of opportunity. Some
13 utilities that participate in -- provide low-income
14 discounts by mitigating the customer charge. There
15 is some work being done in Illinois, is this the
16 level, the direction you wanted me to go in?

17 MS. POPPITI: Yes, please.

18 THE WITNESS: There is some work being
19 done in Illinois right now that is talking about they
20 are looking at AMI data, and they are finding that
21 low-income customers in that region have relatively
22 flat usage. And so they are working on a rate design
23 to remove the demand portion of the rate. And that's
24 how they are providing a discount to low-income
25 customers.

1 So there are all kinds of opportunities
2 and ways to look at it. It just depends on what the
3 right program is for the population that it's
4 intended to benefit. And --

5 MS. POPPITI: Is it the Department's
6 position that the commission should open up a
7 separate proceeding to investigate this, or is it
8 more appropriate to direct the parties to work
9 together on a more informal basis?

10 THE WITNESS: I think that I mean --
11 what I'm prepared and comfortable saying is that I
12 think there is a problem for a subset of WEC's
13 customers with this rate design. And that it's
14 important that we look at that and determine whether
15 or not that's going to be a problem in terms of those
16 folks being able to continue to afford their
17 electricity.

18 So in terms of whether or not that's a
19 program or a slightly different rate design, I just
20 gave you two different examples of that. How it's
21 paid for, we are too soon. So I think it's more
22 taking a look at it and seeing how big that problem
23 is together.

24 I think I landed in the right spot
25 there.

1 MR. BURKE: And Ms. Poppiti, I'll take
2 that question under advisement when we do briefing.

3 MS. POPPITI: Excellent. Thank you.
4 And did the Department look at what phasing in the
5 customer charge would do to alleviate the impacts on
6 low-income customers?

7 THE WITNESS: So I don't have any of
8 that math in my testimony. And if it were an even
9 split, then you could take the percentages and cut
10 them in half. But I'm not sure that's exactly the
11 way Mr. Potter was looking at it. So --

12 MS. POPPITI: Generally do you think
13 that if the commission were to adopt a phased-in
14 approach, that it would mitigate some of the impacts
15 at least initially?

16 THE WITNESS: I think the consumers are
17 generally more comfortable, and you know, I can't
18 cite material, but I have read this. You know, more
19 gradual implementation of changes. I know for myself
20 that it's easier to absorb that. But when you're
21 talking about increases of more than 60 percent,
22 there is going to be bill shock even at 30 percent.
23 So just cutting it in half, it's still a lot.

24 Again, I'm very focused on very
25 low-income people, so I talk about the percentage of

1 income these rate increases -- the -- the rate impact
2 or rate change impact would be on a customer with an
3 income of a thousand dollars. So it's the very
4 low-income people that I'm specifically concerned
5 with.

6 Managing -- there was some discussion
7 earlier where Patty was talking about arrearages, and
8 I think this might have been a question that
9 Commissioner Cheney asked, and failure to pay is not
10 always a low-income issue. It is a financial
11 insecurity issue. So there are differences between
12 those two things. I just wanted to tease that out.
13 So --

14 MS. POPPITI: So the 400 customers that
15 you referred to, that would be the low income of a
16 thousand dollars a month that you looked at or --

17 THE WITNESS: So I took a look at the
18 GMP enrollment data for the electric assistance or
19 program that GMP runs, and because WEC had used that
20 to draw their own numbers, so I used that same data
21 set to look at. And I ball parked based on the
22 population and the number of ratepayers that WEC had
23 to come to that number.

24 Now programs like GMP's EAP program
25 generally are under enrolled, and so the flaw, if

1 there is one in my projection of 400, is that we do
2 have a draft report for the EAP evaluation that I've
3 just gotten in the last few days. So I expect that
4 that final report is going to show they are under
5 enrolled.

6 There is a range in percentage of that
7 under enrollment, and I wouldn't want to testify to
8 that number until we have that report -- that final
9 report in hand. So that's a very conservative
10 number. It's the low end at 400. It could be
11 significantly more than that percentage wise.

12 MS. POPPITI: So without, you know, WEC
13 doesn't have the income numbers available; correct?

14 THE WITNESS: Yeah.

15 MS. POPPITI: And so how would the
16 Department propose to monitor the impacts then of
17 this rate design?

18 THE WITNESS: Yeah. So a couple of
19 options could be a more quantity -- quantitative
20 approach to data collection. Ms. Richards did a
21 great job explaining a qualitative approach to data
22 collection when she talked about the focus groups.
23 And that's a very informative process, but a
24 quantitative as counsel Burke referred to which is a
25 more of polling type. You know, so some type of a

1 survey might be used, or if there are existing
2 surveys that housing organizations, for example, have
3 done in that region, perhaps we could borrow some of
4 that data. So those are just a couple of examples.

5 We might be able, within a short period
6 of time it looks like, the fuel assistance program --
7 the state's fuel assistance program is starting to
8 collect some electric usage data. I keep peppering
9 them with questions about that, and they keep saying
10 they don't have it. But I heard they put out a
11 request to the utilities for it, so they got
12 something that we might be able to get our hands --
13 so there are some ways that we can look at it.

14 I mean certainly one of the problems
15 for WEC's service area is because they don't power a
16 whole town, and so to follow the electric lines and
17 surveys is kind of hard, you know. You have to start
18 with their members. So it's hard for me to point to
19 an existing data set and say I can make an
20 apples-to-apples comparison. I can't.

21 MS. POPPITI: Okay. That's all I have.

22 COMMISSIONER CHENEY: I had some
23 questions. So two lines of questions. First, I'm
24 thinking back to the testimony we heard from Ms.
25 Richards about the assumption or the experience, it

1 wasn't numbers related, but that low-income customers
2 tend to use more electricity.

3 And in your testimony on page 3, you
4 take different amounts of usage. For example, in
5 line 18, a customer who uses 400 KW -- kilowatthours
6 would see a total bill increase of nearly 6 percent.
7 At 300 the bill would increase by 17 percent jumping
8 to a 44 percent increase at 200 kilowatthours.

9 Is it fair to surmise that therefore,
10 that if the low-income customers are using more than
11 this rate design, impacts them less?

12 THE WITNESS: My answer is it's more
13 than -- it's actually more than fair to assume that.
14 I think that Ms. Richards has talked about the folks
15 who are higher users will benefit from the rate
16 design.

17 MR. BURKE: Ms. Flint, just remember we
18 have a Court Reporter, so say yes or no instead of
19 nodding your head.

20 THE WITNESS: Yes, I will try.

21 COMMISSIONER CHENEY: And then on page
22 9 of your testimony at line 8 you estimate that about
23 400 or more WEC members may suffer financial hardship
24 from this rate design. I assume by this rate design
25 you're referring to WEC's proposal?

1 THE WITNESS: Yes. I'm referring
2 earlier in the paragraph to WEC's proposed rate
3 design.

4 COMMISSIONER CHENEY: So then when on
5 page 4 of your testimony at line 1 you say the
6 Department's proposals eliminate the inclining block
7 rate, exacerbates the increase, impacting more than
8 5,000 members or 55.9 percent. Then am I right in
9 surmising that that estimate you put out of 400 or
10 more members suffering financial hardship, there
11 would be more members suffering financial hardship
12 from the Department's proposal?

13 THE WITNESS: Help me find 400 members,
14 please.

15 COMMISSIONER CHENEY: Well that was the
16 one on page 9 and lines 8 and 9.

17 THE WITNESS: I can't tell from -- what
18 I've written here is I'm comparing that to the
19 Department's proposal or the WEC's original proposal.
20 So I'm not confident.

21 COMMISSIONER CHENEY: Just a few
22 minutes ago when I asked you by this rate design
23 whether you were referring to WEC's, you said yes,
24 you were referring to WEC's.

25 THE WITNESS: Because I can clearly see

1 the paragraph building to that conclusion.

2 COMMISSIONER CHENEY: Now you're saying
3 you're not sure whether that was about the WEC's rate
4 design or Department's rate design?

5 THE WITNESS: I understand that
6 differently, Commissioner Cheney. Here you're asking
7 me -- so help me if I'm misunderstanding your
8 question, but whether or not that 400 --

9 COMMISSIONER CHENEY: Right.

10 THE WITNESS: The projection of about
11 400 is from the Department's proposal or WEC's
12 proposal. And I'm not sure by reading this.

13 COMMISSIONER CHENEY: You're changing
14 what you said earlier about -- earlier you said you
15 were referring to WEC proposal. Just a few minutes
16 ago when I was beginning to have this conversation
17 with you.

18 THE WITNESS: I stand by what I said
19 earlier.

20 COMMISSIONER CHENEY: Okay. All right.

21 THE WITNESS: And what I can't tell you
22 is if it's changing how if the inclining block rate
23 -- if that encompasses more people.

24 COMMISSIONER CHENEY: I see what you
25 mean.

1 THE WITNESS: When I compare to the GMP
2 enrollment.

3 COMMISSIONER CHENEY: Thank you for
4 that clarification.

5 THE WITNESS: You're welcome. I knew
6 we were not quite communicating.

7 COMMISSIONER CHENEY: Yes. Okay.

8 THE WITNESS: Okay.

9 COMMISSIONER CHENEY: Thank you.

10 MR. FLAGG: Can I just follow up? When
11 you say suffer financial hardship on that page 9 on
12 line 9 in your testimony, what is that threshold
13 then? What is financial hardship? That's with
14 respect to the 400 or more members. So what does
15 that mean?

16 THE WITNESS: So above, if you take a
17 look at line 1 on page 9, a \$24 increase in a monthly
18 bill for a consumer for that low-use low-income
19 consumer totals \$288 per year or over four months'
20 worth of electricity for that consumer using 200
21 kilowatthours. It's that kind of burden. If you
22 think about that increase being the equivalent of
23 four months' worth of electricity, that's a hardship.

24 I would see that kind of increase in
25 another bill, like food, for example. Four months'

1 worth of food if you wanted to see those groceries,
2 that's a picture. That's a picture I was trying to
3 draw.

4 MR. FLAGG: Okay. So that's what you
5 used when you were looking at GMP's EAP data
6 comparing it to the WEC rate design?

7 THE WITNESS: No. That's what I used
8 when I looked at the dollar impact per bill on a
9 customer who has an income of --

10 MR. FLAGG: Four months?

11 THE WITNESS: Yeah. A thousand
12 dollars. Picture I was trying to draw was someone
13 who has fairly low income and fairly low use.

14 COMMISSIONER CHENEY: And yet we are
15 hearing that most low-income customers are high use.
16 So it's fair to segregate out this concern for the
17 low use, but on the other hand, high use low income
18 might see a relief compared to the current rate
19 design.

20 THE WITNESS: So I think if you look at
21 the GMP enrollment data by usage, and you look at
22 WEC's customer base by usage, you'll see about the
23 same thing; that about half use more and about half
24 use less than that mid point of around 5 or 600
25 kilowatthours.

1 In other words, low-income folks use
2 about the same kind or amount of electricity as all
3 users of electricity.

4 COMMISSIONER CHENEY: Do you know
5 whether they are likely to use less than 200
6 kilowatthours?

7 THE WITNESS: Low-income folks?

8 COMMISSIONER CHENEY: Yes.

9 THE WITNESS: Use of energy is more --
10 or better predicted by housing stock whether or not
11 it's been weatherized, you know, the choices that a
12 consumer makes, than by income per se. The
13 differences would then come down to choice of
14 housing.

15 So someone who is in an affordable
16 housing, you know, project-based housing, would
17 typically have a lower energy burden. But when
18 you're talking about a service area like Washington
19 Electric which has very little project-based housing,
20 you've got Williamstown. I don't even think any of
21 the Bradford customers fall in the WEC area that are
22 in project-based housing. And Chelsea. And that's
23 about it for project-based housing in their service
24 area that I'm aware of. Then you're talking about
25 rural area and total energy burden being around 10 or

1 11 percent.

2 COMMISSIONER CHENEY: Thank you.

3 MR. LANDIS-MARINELLO: Ms. Flint, so
4 those 400 or so customers, do you have any sense of
5 if that group -- what percentage of that group or
6 approximately knows that this increase might happen?
7 A high percentage, a low percentage?

8 THE WITNESS: I would expect that -- I
9 would expect that's very similar to consumers across
10 the state. And so my -- I cannot predict how many of
11 them are aware.

12 Washington Electric does a pretty good
13 job with their Co-op Currents pushing information out
14 to their members. But we haven't had a lot of -- we
15 didn't have any complaints made to CAPI. I think I
16 testified to that about the rate design. The public
17 hearing was sparsely attended. So I don't have any
18 good indication one way or another.

19 MR. LANDIS-MARINELLO: And the
20 Department's position is that something should be
21 done about that group of 400, just not in this
22 proceeding. But at a later time. Does that
23 summarize it correctly?

24 THE WITNESS: I think so. Yes.

25 MR. LANDIS-MARINELLO: Would it be

1 better to try to do something for that group in this
2 proceeding?

3 THE WITNESS: That comes to a timing
4 question. It's probably better asked of the other
5 Department witnesses rather than me.

6 MR. LANDIS-MARINELLO: Thanks.

7 CHAIRMAN ROISMAN: Ms. Flint, you have
8 a wealth of potential data of what happens to
9 low-income people when rates go up. We have been
10 raising rates over the last several years. Do you
11 have any data to indicate whether or not when rates
12 have gone up, I realize here we could be talking
13 about as much as 60 percent. I don't think, at least
14 in my tenure, that we have approved any 60 percent
15 rate increases.

16 But do you have any data on how much
17 more traffic you would see at CAPI when these rate
18 increases go up. In other words, is something
19 happening, is this difference actually making a
20 difference that you can document for us?

21 THE WITNESS: No. I don't have any
22 Vermont-specific data to offer you. And I would
23 refer you to page 7 of my testimony. Fisher, Sheehan
24 & Colton, which is an organization out of
25 Massachusetts, talks about how remarkably little

1 empirical documentation of the relationship between
2 arrearages or non-payment and increasing utility
3 rates are. And so based on my read of some of their
4 information, that's where I came to thinking we need
5 to at least look at it, because that gives us more
6 data both from WEC's experience, if they were to
7 implement it, and if there is no rate shock at all,
8 then maybe we don't have a problem.

9 I don't know. You know, I don't have a
10 way of knowing that now. I can't point to anything.
11 I can tell you that utilities and consumer advocates
12 across the United States are grappling with this
13 issue. And it is -- it's a bigger issue in other
14 states. I'm not sure if that's because Vermonters
15 are resilient and resourceful or if it's because it
16 just hasn't hit us here. Sometimes we fall behind,
17 we're at the tail end of trends, trend data, for
18 whatever reason. That's a real non answer. I'm
19 sorry.

20 CHAIRMAN ROISMAN: No. No. That's
21 helpful. And with regard to the difficulty of people
22 on lower incomes being able to pay electric bills,
23 there are two at least possible problems. One is
24 that they may be using more than they need to use.
25 They are in inefficient housing or inefficient

1 equipment. And another could be that they are
2 getting an unfair share of the costs of the
3 electricity. But regardless of which cause, the
4 solution is always the same; more money.

5 Is the Department proposing any way
6 other than to have existing ratepayers pay more to
7 support those ratepayers who can't afford to meet
8 their electric bills, any other way to get money?
9 For instance, is the Department prepared to make a
10 recommendation that there should be an increased tax
11 in the State of Vermont set aside to help the low-
12 income consumer of electricity meet their bills?

13 THE WITNESS: So that -- that topic was
14 not discussed as we prepared for today or for
15 testimony in this process in terms of a general tax.
16 So I can't -- I can't answer that question on behalf
17 of the Department.

18 What I can say is that our approach to
19 look at it and work together with WEC would give us
20 an opportunity to explore all kinds of options
21 together. So whether or not more money is needed, I
22 mean that's one obvious answer in terms of program
23 design when you're talking about this. But when you
24 have a solution that works for almost everybody
25 except for a few, then that's the time that people

1 develop programs like the kind of programs we have
2 been talking about for good reason historically, and
3 they are effective.

4 CHAIRMAN ROISMAN: Ms. Richards
5 indicated that she thought that even a year might be
6 too short a period of time for this consultation, the
7 resolution that you've proposed be six months.

8 Do you have another date other than six
9 months by which if we were to issue some directive
10 you would think would be appropriate in light of her
11 concerns that there is not enough time to go through
12 all the necessary analyses to have a fruitful
13 conversation?

14 THE WITNESS: Principally my concern
15 for very low-income consumers, particularly at this
16 time of the year, is affording their energy bills
17 coming into the winter months. And so to not have an
18 appropriate solution coming into another winter feels
19 harsh to me.

20 COMMISSIONER CHENEY: And by energy
21 bills, you mean all energy including especially fuel
22 oil?

23 THE WITNESS: Yes. Because electric is
24 often necessary to run the heating source for a home.
25 And so without electricity or with limited -- less

1 access to electricity, other things -- other bad
2 things can happen.

3 CHAIRMAN ROISMAN: Okay. I don't have
4 anything else.

5 MR. BURKE: I have a couple redirect.

6 CHAIRMAN ROISMAN: Mr. Shems, do you
7 have any follow ups to our questions?

8 MR. SHEMS: I do.

9 CHAIRMAN ROISMAN: You would go first.

10 MR. SHEMS: Okay.

11 CROSS EXAMINATION

12 BY MR. SHEMS:

13 Q. Helping with weatherization would alleviate
14 some of your concerns; is that correct?

15 A. Yes.

16 Q. And was that taken into account when you
17 prepared the testimony?

18 A. I mentioned weatherization specifically in my
19 testimony as one, you know, that one way that -- what I
20 was talking about was housing stock, that age of housing
21 stock is not necessarily a predictor in WEC's service area
22 of energy usage because we have no way of knowing how many
23 homes have been weatherized. So maybe there's already
24 been significant mitigation.

25 Q. But you didn't take into account WEC's program

1 that assists with weatherization?

2 A. No.

3 Q. How many other distribution utilities have a
4 low-income program? We know GMP does. But how many other
5 utilities do?

6 A. GMP and Vermont Gas have low-income assistance
7 programs. And Hyde Park has a low-income solar project.

8 Q. Do any other electric utilities have a
9 low-income program besides GMP?

10 A. Not at this time --

11 Q. Are you recommending --

12 A. -- in Vermont.

13 Q. Do you have specific recommendations for other
14 utilities for low-income programs?

15 A. I'm not prepared to answer that question
16 today.

17 Q. Okay. It is clear though that the
18 Department's recommendations can exacerbate your concerns
19 though regarding low income?

20 A. That's what I testified to. Yes.

21 MR. SHEMS: Okay. Thank you.

22 THE WITNESS: You're welcome.

23 MR. BURKE: I just have a couple
24 redirect questions.

25 REDIRECT EXAMINATION

1 BY MR. BURKE:

2 Q. First in response to a question you had from
3 the Chairman about the timing of low-income program. I
4 think you referred to a six-month deadline. Can you
5 clarify -- did you ask for a specific deadline in your
6 testimony?

7 A. I don't think I did. The question threw me a
8 bit. So I don't think that I have that.

9 CHAIRMAN ROISMAN: That's on me. I've
10 been corrected by my Co-commissioner.

11 BY MR. BURKE:

12 Q. And I think you answered this, in part, in a
13 question from Commissioner Cheney. You used the phrase
14 total energy burden earlier. And what do you include in
15 that phrase "total energy burden"?

16 A. So I think of total energy burden in the same
17 way that Efficiency Vermont uses it in the energy burden
18 report or as the organization I referred to earlier,
19 fisher, Sheehan & Colton out of Massachusetts, talks about
20 energy burden, all energy including transportation from an
21 Efficiency Vermont perspective, and that's what I've
22 talked about in my testimony.

23 Q. So transportation you mean buying gasoline at
24 the gas station?

25 A. Yes.

1 Q. And then there's been some discussion -- I
2 think you had some questions from Ms. Poppiti about the
3 phased-in approach. If the commission were to order a
4 phased-in approach of the rate design regardless of
5 whether they adopted our recommendation or WEC's
6 recommendation, would that allow for more time to develop
7 a low-income program?

8 A. Yes, it would.

9 MR. BURKE: Those are the only
10 questions I have.

11 MR. SHEMS: I had one clarification.
12 It's not a question. But I believe that when Ms.
13 Richards testified as to needing more than a year,
14 that was specific to a question of our time-of-use
15 and not the low-income program.

16 CHAIRMAN ROISMAN: Yes. That is
17 correct. Thank you.

18 MR. BURKE: So our next witness is Sean
19 Foley. Would you prefer to have Mr. Foley testify
20 now or take a lunch break now?

21 CHAIRMAN ROISMAN: Let's do him now
22 unless -- Mr. Shems, is it going to be long?

23 MR. SHEMS: Just a teeny bit -- just a
24 few more questions than I had for Ms. Flint.

25 MR. BURKE: So the Department calls Mr.

1 Sean Foley.

2 COMMISSIONER CHENEY: Good afternoon,
3 Mr. Foley. Please raise your right hand.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 SEAN FOLEY

2 Having been duly sworn, testified
3 as follows:

4 THE WITNESS: I do.

5 COMMISSIONER CHENEY: Thank you.

6 DIRECT EXAMINATION

7 BY MR. BURKE:

8 Q. Mr. Foley, you have a copy of your testimony
9 in front of you?

10 A. Yes, I do.

11 Q. Do you need to make any corrections to your
12 testimony?

13 A. No, I don't.

14 MR. BURKE: Mr. Foley is available for
15 cross examination.

16 COMMISSIONER CHENEY: I saw something
17 that perhaps needs a correction on page 3. And line
18 6 it says: Those using then 200 kilowatthours a
19 month will see the largest dollar impact.

20 Would I confirm -- should that be more
21 or less?

22 THE WITNESS: Should take out the
23 "and."

24 COMMISSIONER CHENEY: Oh. Delete the
25 word "and?"

1 THE WITNESS: Yes. So with that
2 correction --

3 COMMISSIONER CHENEY: Thank you, Mr.
4 Burke.

5 MR. BURKE: Sorry. Mr. Foley is
6 available for cross examination.

7 THE WITNESS: Thank you.

8 CROSS EXAMINATION

9 BY MR. SHEMS:

10 Q. Good morning, Mr. Foley.

11 A. Good morning.

12 Q. Or good afternoon.

13 A. Good afternoon.

14 Q. You modeled WEC's energy rate under the
15 Department's proposal?

16 A. No. I did not.

17 Q. You developed what the energy rate would be
18 under the Department's?

19 A. Oh, yes. I used the Department -- I used WEC's
20 analysis to come up with the billing determinants and
21 revenue requirements that came out of their analysis to
22 come up with a new rate. Yes, I did do that.

23 Q. And what was that rate?

24 A. I think it was -- eliminating the inclining
25 block rate structure would get you to a residential energy

1 charge of 17 -- .17796 per kilowatthour.

2 Q. But you know the Department's proposal is more
3 complicated than just eliminating the initial block, is
4 that right?

5 A. No, I don't think so.

6 Q. Is the Department also recommending that the
7 monthly charge be phased in for increments over four
8 years?

9 A. Yeah. We are recommending a phase-in every
10 month, yes. To ameliorate the rate shocks, we are
11 recommending that the phase-in be implemented.

12 Q. So if the monthly fee is going to be
13 implemented over three years in four phases to maintain
14 revenue neutrality, the energy cost would have to be
15 higher than .17796, and that would be stepped down in four
16 increments over three years?

17 A. That's correct.

18 Q. Okay. And that's, of course, assuming no rate
19 increase between now and three years from now?

20 A. What you do is you take the billing
21 determinants as filed in this case, and you set up a
22 schedule that maintain revenue neutrality with these
23 billing determinants. Then if you have a rate increase in
24 the meantime, that rate increase would be applied to that
25 schedule that you set up maintaining the revenue

1 neutrality.

2 Q. The Department's also recommending a
3 time-of-use rate.

4 A. Yes.

5 Q. And do you know it will cost WEC several
6 million dollars to implement the time-of-use rate?

7 A. I have no knowledge about that.

8 Q. Was that taken into account when you developed
9 the .17796 rate?

10 A. No. The number -- that is a result of the
11 billing determinants filed in the case.

12 Q. Okay. The Department's also recommending an
13 EV rate. Was that factored into the .17796?

14 A. Again, the .17796 is based on the billing
15 determinants as filed in this case.

16 Q. Okay. And so the same would be for a support
17 mechanism below -- the cost of low-income program?

18 A. That's correct. All of these rates would
19 change with new data.

20 Q. Okay. So assuming the Department's
21 recommendations were adopted here, we are just -- the .177
22 rate we are just not going to see. It's going to be
23 something very different at the end of the day.

24 A. Not necessarily.

25 Q. Do you believe that simplicity is one of the,

1 you know, basic rate setting principles?

2 A. I think clear and transparent rates are a part
3 of the -- is something that you should consider. Yes.

4 Q. How about rate stability?

5 A. Rate stability is part of the things you
6 consider when you're doing a rate design.

7 Q. Okay. So we have the Department's proposal.
8 That's a four-step increase over three years in the
9 customer charge, which necessarily leads to a four-step
10 decrease in the energy rate over three years. We have a
11 time-of-use rate that's going to add to that, and we have
12 the EV rate, and we have a support mechanism. And plus we
13 have what's -- we don't know what is going to happen
14 between now and three years from now. Is that -- does
15 that strike you as being stable?

16 A. Yeah. So rate stability does not mean rates
17 don't change. Rate stability means that there is a steady
18 path through these rate changes. In other words, you
19 don't have a 25 percent rate increase one year and a 25
20 rate decrease in the next year, those variations are not
21 stable. If you have continuing, steady path, that is a
22 stable rate going forward.

23 Q. But a simple, clear --

24 CHAIRMAN ROISMAN: Mr. Shems, can you
25 please --

1 MR. SHEMS: Okay sorry. Thanks for
2 reminding me.

3 BY MR. SHEMS:

4 Q. A simple, clear path is really best; right?

5 A. No. I disagree. That's a very broad term
6 what is best for your rate design. There is a multitude
7 of components involved in a rate design, and that's one of
8 them. So just saying that simplicity is the best is
9 really throwing a lot of issues out.

10 Q. Just seems like an awful lot to get rid of the
11 initial block.

12 COMMISSIONER HOFMANN: I'm sorry. Can
13 you repeat that?

14 BY MR. SHEMS:

15 Q. It just seems like an awful lot to do in order
16 to get rid of the initial block.

17 A. You mean there is a lot of work to do?

18 Q. All these various steps.

19 CHAIRMAN ROISMAN: Question.

20 THE WITNESS: No. There is only one
21 step to get rid of the block. I think the step
22 increases were to address the increase in the
23 customer service charge.

24 BY MR. SHEMS:

25 Q. Well it's also to address the exacerbated

1 impact on low-income WEC members.

2 A. Not particularly.

3 COMMISSIONER HOFMANN: Is there a
4 question? I'm sorry. I didn't hear a question.

5 BY MR. SHEMS:

6 Q. The Department's proposal is, in part, geared
7 to addressing some of the impacts of its proposal on low-
8 income WEC members; is that correct?

9 A. All WEC members. Yes.

10 Q. That's all I have.

11 COMMISSIONER HOFMANN: Mr. Foley, do
12 you think WEC is capable of doing the calculations
13 necessary to do the phase-in?

14 THE WITNESS: Yes. It's fairly simple.

15 COMMISSIONER HOFMANN: Okay. Is it
16 also possible that instead of having a four-step
17 phase-in, you could have a lesser phase-in to make it
18 easier for them?

19 THE WITNESS: Yes.

20 COMMISSIONER HOFMANN: Is there any
21 benefit to ratepayers to having -- let's say we said
22 not four. Let's have two.

23 Is there still a benefit to having even
24 a lesser phase-in than the Department is advocating
25 for but more than what WEC is advocating for?

1 THE WITNESS: Yes. I mean if you're
2 trying to mitigate rate shocks, any kind of structure
3 of spreading that out over time would mitigate that
4 rate shock.

5 COMMISSIONER HOFMANN: Mr. Foley, if
6 you could turn to page 5 of your testimony. In lines
7 9 to 16, you're talking about the difference in this
8 allocation methodology, because Coventry is really a
9 base load plant. And so you're actually being
10 critical of the way WEC has done the methodology; is
11 that correct?

12 THE WITNESS: That's correct.

13 COMMISSIONER HOFMANN: Now Mr. Strong
14 has since filed rebuttal testimony where he says --
15 basically he says, nice, but it doesn't matter. And
16 I just wanted to ask you since you didn't have a
17 chance to respond to that, do you think he is correct
18 in terms of his -- I don't know if you read Mr.
19 Strong's rebuttal on page 4 where he basically is
20 saying it doesn't -- it wouldn't really change
21 anything? Do you agree with that or not?

22 THE WITNESS: Kind of. But let me put
23 a twist on it. My twist is it doesn't matter because
24 they didn't use the results of their study to inform
25 their decisions in their rate design. So --

1 MS. POPPITI: Can you explain that a
2 little more?

3 THE WITNESS: In my testimony I
4 specifically -- I asked them in discovery did they
5 use this, and they said, no, we didn't use the
6 results. So if you look at the -- the results of the
7 rate design, they have revenue by rate class. And
8 you'll notice in the residential class the variation
9 that they needed to collect for revenues was not very
10 much, but for, I think it was the commercial class,
11 the variation was more significant.

12 And so you could have argued that you
13 should have taken -- I'm going to use examples. I
14 don't have the numbers right in front of me. That
15 the one percent in the rate class adjustment for the
16 residential class might have resulted in a 10 percent
17 change in the commercial class. Even though their
18 study said that, which is not exactly along those
19 lines, they didn't use those results. They didn't
20 adjust one rate class and move the revenues from one
21 to the other. They just decided not to use that.

22 So their analysis and their cost of
23 service, their cost of service allocation, I think,
24 only went to maybe inform them on whether their \$25
25 customer charge was reasonable. Other than that,

1 they didn't use the rate design cost of service
2 analysis at all.

3 And my understanding is that they
4 didn't. And my discovery question -- my discovery
5 question they said that they didn't use it either.

6 MS. POPPITI: So Commissioner Hofmann
7 asked you if WEC could easily determine what the
8 phase-in would look like in terms of the impact on
9 the energy charge. And you responded yes; is that
10 correct?

11 THE WITNESS: That's correct.

12 MS. POPPITI: And so has the Department
13 or have you done any analysis just to see what that
14 would look like, or can you give us a sense of what
15 that might look like?

16 THE WITNESS: I did the analysis. I
17 don't have it with me. I can't give you a sense of
18 how much -- like if you change a penny in the
19 kilowatthour charge how much that changes the
20 customer service charge. Or whether you take a
21 dollar off the customer service charge, how many
22 pennies that adds to the Energy Efficiency Charge.
23 But it's fairly straightforward. You have all the
24 billing determinants right in the filing.

25 You move one from the other. Whatever

1 steps you're making from the \$14 to \$25 you just
2 divide that up by 4 or by 2. You take the amount of
3 revenues that you're not collecting, and you throw
4 that into the tail block, or whatever resulting rate
5 design that you have, and the kilowatthour charge.

6 MS. POPPITI: And the Department
7 proposed the four-step phase-in over three years. Is
8 there -- was there some sort of, you know, rationale
9 on that that you would share with us?

10 THE WITNESS: So Green Mountain Power
11 and CVPS went through a merger process, and when we
12 worked with them on transferring their rates from the
13 CVPS rates to the Green Mountain Power rates, we run
14 back and forth. And the four steps three years was
15 sort of -- there was varying numbers of feed-ins, but
16 that seemed to work for them.

17 I didn't do any particular analysis. I
18 thought five years was too long. I thought three
19 years was good. That would give you the ability to
20 do four steps. \$14 to \$25 is a significant amount of
21 increase, and I thought you should break that up into
22 more equal parts. That's all I did.

23 COMMISSIONER HOFMANN: Do you recall --
24 you may -- do you have any data to show whether
25 customers in the CV-GMP merger when you did the four

1 steps, if that was -- did the Department get a lot of
2 complaints about that, do you know?

3 THE WITNESS: I don't know. Carol --

4 COMMISSIONER HOFMANN: Right?

5 THE WITNESS: Carol wasn't at the
6 Department at the time. So I'm not sure if we got a
7 lot of complaints.

8 MR. BURKE: We could take that as a
9 data request if you would like. Because I don't
10 think -- Carol would not know that off the top of her
11 head either, but we could look at our logs.

12 COMMISSIONER HOFMANN: Actually that
13 would be helpful.

14 COMMISSIONER CHENEY: Would that
15 inquiry also include complaints perhaps received by
16 the utility as opposed to by the Department?

17 MR. BURKE: I don't know if we would
18 have access to the complaints received by the
19 utility. This obviously predates ePUC. So I will
20 follow up with Ms. Flint, but my assumption is no.

21 MR. LANDIS-MARINELLO: Does the
22 Department ever look at -- with the customer charge
23 if that should be -- if that should vary with the
24 different classes? For instance, should commercial
25 customers pay a larger customer charge than

1 residential?

2 THE WITNESS: Yeah. Typically when you
3 look at a customer service charge, the main items
4 that go into it are metering, service drop, and
5 billing. And the service drop and the metering are
6 the two things that usually vary between the rate
7 classes.

8 So a large commercial customer, the
9 metering is generally more expensive, and the service
10 drop is more expensive because you have a larger
11 transformer. The billing systems are pretty much
12 equal because it's basically doing the calculations
13 and sending out a bill. But the main difference is
14 the cost of putting the meter in, the cost of service
15 drop to each those different customer classes.
16 Usually a commercial class has a higher customer
17 service charge because their meters and the service
18 drop is more expensive.

19 MR. LANDIS-MARINELLO: But here it's
20 going to be the same for all customers?

21 THE WITNESS: No. I think the -- I
22 think that they are similar for the residential and
23 small commercial. And I think their large class is
24 different. I would have to check.

25 MR. LANDIS-MARINELLO: Okay. Thank

1 you.

2 CHAIRMAN ROISMAN: We have heard a lot
3 this morning about shock. And Ms. Richards used what
4 I think was a useful analogy, the Band-Aid example,
5 tear it off immediately versus tearing it off over
6 time.

7 And my question for you is what data do
8 you have to indicate where the shock actually occurs?
9 And whether it's better to tell the customer your
10 bill is going to be higher this year and then that
11 will be it, or it's going to be higher this year and
12 then a little higher next year and then a little
13 higher the year after that.

14 Which of those is most palatable to the
15 customer who would prefer that their bill not be
16 higher at all? Do you have any data to explain why
17 we should be that concerned about this shock?

18 THE WITNESS: I've not done any sort of
19 social engineering around this question. I have
20 looked at rate impacts in terms of utility revenues,
21 and it doesn't seem to -- so if you have a large
22 increase, elasticity of demand is not great with
23 electricity, but there is some. So if you take that
24 into account, the ramping lowers the amount that
25 customers will actually change their usage, if you

1 want -- it's supply and demand. If you have a big
2 impact, customers tend to use less usage. But in
3 terms of whether people like it one way or the other,
4 I really don't know.

5 CHAIRMAN ROISMAN: So except for the
6 words "rate shock," we don't really have any data in
7 this record to tell us whether or not we are fixing a
8 problem if we go with the phase-in versus just do it
9 once, change the bill, tell the customer in the
10 insert we have changed your bill. PUC's approved it.
11 Here's why we did it. If you've got any concerns
12 write to us.

13 THE WITNESS: Yeah. I don't think
14 there is any evidence to support one way or the
15 other. I mean other than general practice, general
16 practice is avoid a rate shock.

17 CHAIRMAN ROISMAN: Right. But whether
18 it is a rate shock is a different question. Right?
19 We would all agree if the bills went up by a thousand
20 dollars a year, that would be shocking. And if they
21 went up by a dollar a year that would not be
22 shocking. And we are somewhere in between.

23 THE WITNESS: Yes. We are somewhere in
24 between. I agree with that. We are somewhere in
25 between a thousand and a dollar.

1 COMMISSIONER CHENEY: And just to
2 clarify rate shock, as we understand shock as being a
3 negative thing, it applies to some customers but not
4 all because at higher usage rates the bill would
5 decrease even without the phase-in.

6 THE WITNESS: Yes. So about 50 percent
7 of the customers would see a rate decrease, and about
8 50 percent of the customers -- I'm sorry, bill
9 increase, and about 50 percent of the customers see a
10 bill decrease.

11 COMMISSIONER HOFMANN: Although people
12 who see a bill decrease, that's not usually referred
13 to as rate shock.

14 THE WITNESS: No, it's not.

15 COMMISSIONER HOFMANN: They usually
16 like that; right?

17 THE WITNESS: They usually like that.

18 CHAIRMAN ROISMAN: Maybe rate surprise.
19 Anyone up here?

20 Mr. Shems, do you have any follow ups?

21 MR. SHEMS: A couple quick questions.

22 Thank you.

23 CROSS EXAMINATION

24 BY MR. SHEMS:

25 Q. Do you agree with Ms. Flint the Department's

1 proposal would exacerbate or create a greater rate shock
2 than WEC's proposal?

3 A. Yes. For the customers that are having a rate
4 -- in that section that are having a rate increase.

5 Q. Okay. Do you agree there is a difference
6 between what's straightforward or easy to calculate for
7 WEC, and what's straightforward and easy to understand for
8 a ratepayer? There is a difference between the two;
9 right?

10 A. Yes.

11 Q. And it's not clear to me how analogous the
12 GMP-CVPS merger is to this particular circumstance. You
13 know, you hear we are going to be facing at least one rate
14 increase over the next three years, possibly more if we
15 have to implement some of the steps such as time of use.
16 Those add complicated layers -- complicating layers; is
17 that correct?

18 A. Are you asking -- yes. It's more complicated
19 than doing nothing. Having steps, having a single-step
20 increase is less complicated than having multiple-step
21 increases.

22 Q. Thank you.

23 CHAIRMAN ROISMAN: Mr. Burke?

24 REDIRECT EXAMINATION

25 BY MR. BURKE:

1 Q. Quick redirect. Return to rate shock. You
2 just responded to Mr. Shems' question the Department's
3 recommendation will have greater rate shock. The
4 Department's recommendation to remove the tail block rate
5 would have greater rate shock than WEC's proposal;
6 correct?

7 A. That's correct.

8 Q. Does that presume that this would be
9 implemented in day one?

10 A. That would be, yes, on one step. That would
11 be a greater rate shock if we did it in one step.

12 Q. So is your opinion that the Department's
13 phased-in approach versus the Band-Aid approach promotes
14 better rate stability?

15 A. Yes.

16 Q. I think that's all I have.

17 CHAIRMAN ROISMAN: Mr. Shems.

18 MR. SHEMS: I'll be very --

19 RECROSS EXAMINATION

20 BY MR. SHEMS:

21 Q. But you haven't calculated the energy rate for
22 -- that would be reflected by phasing in the monthly
23 charge.

24 A. No, but it's a very simple calculation.

25 CHAIRMAN ROISMAN: Okay. Well

1 according to your schedule, you all did very well.
2 We are seven minutes early. Do you need until 1:30
3 for lunch? If that's okay?

4 MR. BURKE: I do not. But I don't know

5 --

6 MR. SHEMS: I can be quicker.

7 CHAIRMAN ROISMAN: We will come back at
8 1:25.

9 (Recess was taken.)

10 CHAIRMAN ROISMAN: We are back on the
11 record. And I believe we are down to the last
12 witness. Mr. Potter.

13 COMMISSIONER CHENEY: Good afternoon,
14 Mr. Potter.

15 MR. POTTER: Good afternoon.

16 COMMISSIONER CHENEY: Please raise your
17 right-hand.

1 DANIEL POTTER

2 Having been duly sworn, testified
3 as follows:

4 THE WITNESS: I do.

5 COMMISSIONER CHENEY: Thank you.

6 DIRECT EXAMINATION

7 BY MR. BURKE:

8 Q. Mr. Potter, can you confirm that you don't
9 need to make any corrections to your testimony?

10 A. Yes.

11 MR. BURKE: And Mr. Potter is available
12 for cross examination.

13 CROSS EXAMINATION

14 BY MR. SHEMS:

15 Q. Do you have your prefiled?

16 A. I do.

17 Q. Do you have the discovery responses?

18 A. Not in front of me.

19 MR. BURKE: I did not give him a copy
20 of the discovery responses.

21 THE WITNESS: I have a copy in my pile
22 of papers there, if you would like me to grab it.

23 MR. BURKE: May I approach the witness?
24 I'll just bring the pile up.

25 CHAIRMAN ROISMAN: Mr. Shems, did you

1 say you do or do not have copies of the cross
2 exhibits?

3 MR. SHEMS: I do have copies. I'm
4 going to use them.

5 COMMISSIONER HOFMANN: I'm sorry. Do
6 you have copies for us is what we are asking.

7 MR. SHEMS: Yeah.

8 CHAIRMAN ROISMAN: Could you provide
9 them to us?

10 MR. SHEMS: Sure.

11 CHAIRMAN ROISMAN: Okay. Thank you.

12 BY MR. SHEMS:

13 Q. Good afternoon.

14 A. Good afternoon.

15 Q. So you'll agree that the reason WEC petitioned
16 is because we want to further electrification of things
17 like heat and transportation. We pretty much share the
18 same goals as the Department here.

19 A. That was a statement Ms. Richards made in her
20 testimony.

21 Q. Do you have any reason to doubt that?

22 A. No.

23 Q. No other reason to be here; right?

24 A. I won't speculate on that. But sure.

25 Q. The dispute here is basically on how far you

1 want us to go to that goal of strategic electrification.

2 Right?

3 A. I believe so.

4 Q. You agree that WEC's moving in the right
5 direction?

6 A. Yes.

7 Q. So you testify that eliminating WEC's initial
8 block would allow WEC to go further to electrify
9 transportation and heat?

10 A. Yes.

11 Q. And the disagreement we have here is over this
12 increment, the initial block, and how much further we
13 would go?

14 A. Yes.

15 Q. Does the Department have a written policy
16 about eliminating inclining block rates?

17 A. No.

18 Q. Okay. You mentioned no -- you didn't present
19 any exhibits with your prefiled; is that correct?

20 A. I don't believe so. But -- I don't believe
21 so.

22 Q. And in discovery you didn't present any emails
23 or memos about developing a policy regarding elimination
24 of the inclining block rates?

25 A. No. But this is a Department position that we

1 intend to take in the future when the opportunity such as
2 these present themselves.

3 Q. Okay. And so the opportunity presented
4 itself, and your position here was formulated pretty much
5 in reaction or in response to WEC's position; is that
6 right?

7 A. I don't believe so.

8 Q. Can you take a look at discovery response
9 number 5, please.

10 MS. POPPITI: Is this a cross exhibit?

11 MR. SHEMS: It's the discovery.

12 COMMISSIONER HOFMANN: Is it going to
13 be a cross exhibit?

14 MR. SHEMS: I think we stipulated to
15 this as an exhibit.

16 MR. BURKE: This is marked as Ms.
17 Richards' Exhibit Number 10.

18 COMMISSIONER HOFMANN: Thank you.

19 MS. POPPITI: Okay. Thank you.

20 BY MR. SHEMS:

21 Q. We asked you to produce all communications,
22 policies and studies and memoranda, notes, documents
23 relating to the Department's decision to advocate for
24 elimination of WEC's proposed inclining block rate. And
25 the response is that you relied on our petition and the

1 testimony and exhibits related to WEC's petition; is that
2 correct?

3 A. Yes.

4 Q. And there is nothing else listed?

5 A. Correct.

6 Q. When asked about how much eliminating WEC's
7 initial block would further electrification/transportation
8 what was your response?

9 A. Can you point me to the specific question?
10 The number in the exhibit?

11 Q. The discovery responses number 1, please.
12 There is no analysis, is there?

13 A. That's correct.

14 Q. No metric as to whether or not eliminating the
15 initial block would further electrification?

16 A. We did not perform an analysis that would
17 quantify the extent to which eliminating that block would
18 further electrification.

19 Q. Or even if it would, it's theoretical, right?

20 A. It's about sending a price signal that does
21 not discourage electrification.

22 Q. So theoretical.

23 MR. BURKE: Mr. Potter, can you make
24 sure you say yes or no?

25 THE WITNESS: Yes. My apologies.

1 BY MR. SHEMS:

2 Q. Likewise, there is no analysis or metric
3 regarding how much eliminating WEC's initial block would
4 further electrification of heat.

5 A. That's correct.

6 Q. And there is no analysis or metric as to
7 whether or not eliminating WEC's initial block would
8 further the state's goal of reaching 90 percent renewables
9 by 2050.

10 A. That's correct.

11 Q. Efficiency is still a legitimate policy goal,
12 right?

13 A. Energy efficiency. Yes.

14 Q. You want to displace fossil fuel uses with
15 renewable produced electric; right?

16 A. Correct.

17 Q. But we also want people to use LED bulbs and
18 efficient appliances?

19 A. Yes.

20 Q. And that's the policy.

21 A. Yes.

22 Q. You testify on page 6 of your prefiled, lines
23 11 to 13, that it's important to note that the Department
24 is not stating that efficiency and conservation are no
25 longer important. In fact, quite the opposite.

1 A. Correct.

2 Q. And you still hold that view today?

3 A. I do.

4 Q. Okay. Are you aware of policies with the
5 Department of Public Service to give, quote unquote,
6 heightened consideration to the interests of low-income
7 Vermonters?

8 A. I believe there is a section of statute that
9 speaks to that.

10 Q. Section 2(f) of Title 30?

11 A. Yes.

12 Q. And that's a legitimate policy; right?

13 A. Yes.

14 Q. And you agree that there are affordability
15 issues presented by the Department's recommendation here?

16 A. Yes. That is a concern that Carol Flint spoke
17 to earlier.

18 Q. In your testimony at page 3 lines 18 to 21.

19 MR. BURKE: I'm sorry. Which page is
20 that?

21 MR. SHEMS: 3. 18 to 21.

22 BY MR. SHEMS:

23 Q. You testify that removing the inclining block
24 rate will affect affordability and have a significant
25 impact on low use low-income customers. However, the

1 Department nonetheless maintains that it's important to
2 eliminate the inclining block rate at this time.

3 A. Sorry. You said page 3 lines 18 to 21?
4 That's not --

5 Q. I believe so.

6 A. That's not the lines I'm seeing in my
7 testimony.

8 COMMISSIONER HOFMANN: I don't have a
9 line 21, Mr. Shems.

10 MS. POPPITI: I think it's page four.

11 THE WITNESS: Page 4. Yes. That's
12 correct.

13 MR. SHEMS: I apologize for the --
14 BY MR. SHEMS:

15 Q. You say that eliminating WEC's proposed
16 initial block will better align WEC's rate with the
17 state's policy objectives and ultimately benefit WEC's
18 ratepayers. Also on page 4, lines 3 to 5.

19 A. That's -- I'm not seeing that on page 4 lines
20 3 to 5, but I believe I said that.

21 Q. Okay.

22 COMMISSIONER CHENEY: It's on page 5
23 lines 3 to 5.

24 MR. BURKE: Did you write the page
25 numbers from the PDF down?

1 MR. SHEMS: Probably. Sorry.

2 MR. BURKE: No problem.

3 BY MR. SHEMS:

4 Q. Eliminating the initial block will not better
5 align WEC's rates with the state's policy of giving
6 heightened consideration to the interests of low-income
7 Vermonters; will it?

8 A. That is one consideration among many when
9 conducting rate design.

10 Q. But it's not going to align WEC's rates with
11 the interests of low-income Vermonters; is it?

12 A. I mean it's -- on balance, you have some low-
13 income consumers who will see decreases as a result of
14 these proposed changes and some will see bill increases.
15 All of these factors went into the Department's overall
16 position.

17 Q. Will it align WEC's rates with the use of low
18 use low-income WEC members?

19 A. No.

20 Q. Will eliminating the initial block further the
21 state's mandatory goal of encouraging efficiency,
22 efficient use of electricity through rate design?

23 MR. BURKE: I'm going to object to that
24 being argumentative. The mandatory goal. Could you
25 establish a foundation for that?

1 MR. SHEMS: Are you familiar with
2 Section 218(b)? Title 30?

3 THE WITNESS: Generally.

4 BY MR. SHEMS:

5 Q. Okay. Do you know that it calls for
6 efficiency to be promoted through rate design?

7 A. I believe so. Yes.

8 Q. Will eliminating our initial block further
9 that policy goal?

10 A. If you -- I believe that section of statute
11 discusses energy efficiency, and if you take a holistic
12 approach to energy efficiency, fuel switching away from
13 fossil fuels for things like cold-climate heat pumps and
14 hot water heaters and electric vehicles, those are
15 actually more efficient uses of energy than their fossil
16 fuel alternatives.

17 And so I do believe that our -- the
18 Department's proposal will result in increased energy
19 efficiency.

20 Q. In that respect, but how about with low --
21 with efficient appliances or LED bulbs or rather more
22 commonplace, more immediate goals?

23 A. Sorry. Can you clarify the question for me?

24 Q. Using LED bulbs, efficient appliances,
25 efficient refrigerators, is that going to be promoted by

1 eliminating WEC's initial block?

2 A. It will not be promoted, but those will not be
3 discouraged. And I would also note that the state has a
4 whole utility dedicated to efficiency of those products
5 that all customers pay into and have access to them.

6 Q. But it's a policy of the state to encourage
7 efficiency through rate design.

8 A. Yes.

9 Q. Okay. In addition to having Efficiency
10 Vermont or VEIC and the other programs you just mentioned.

11 A. Yes. I believe 218(b) calls for that to be
12 one consideration, again among many, that are conducted.

13 Q. A consideration could be inclining block, but
14 it's that efficiency be promoted through rate design.
15 That's mandatory.

16 A. Yes. And I believe we have achieved that from
17 a holistic energy perspective.

18 Q. You state in response to discovery requests
19 that inclining block rate structures are specifically
20 designed to discourage consumption of electricity.

21 A. Yes.

22 Q. And that the -- there is in discovery response
23 -- let me get it correct this time, 4.

24 A. Yes. That's the first line of my response.
25 Yeah.

1 Q. And you cite the section of the 2016
2 Comprehensive Energy Plan about smart rates --

3 A. I do. Yes.

4 Q. -- in support of that? Can you turn to that
5 section about smart rates, please.

6 CHAIRMAN ROISMAN: Which exhibit?
7 Which cross exhibit?

8 MR. SHEMS: That's Exhibit 17. Page
9 226.

10 COMMISSIONER CHENEY: Page 223.

11 THE WITNESS: 223. Okay.

12 BY MR. SHEMS:

13 Q. Can you turn to page 226 of that, please.

14 A. Yes.

15 Q. Top of the page; however, it is important to
16 carefully consider. Can you read that, please?

17 A. "However, it is important to carefully
18 consider the impact of specific smart rate plans on
19 low-income customers. Utilities should take steps to
20 ensure that low-income customers benefit from smart
21 rates."

22 Q. Thank you. Does the Department's
23 recommendation benefit low income low-use members?

24 A. No.

25 Q. Recommendations 1 and 2A on that same page,

1 that exempts utilities with other technology from smart
2 rates; right?

3 A. I believe so. It's a --

4 Q. Can you read --

5 A. Sure. 2A says, "Customers without..."

6 COMMISSIONER HOFMANN: You have to slow
7 down just a little bit.

8 THE WITNESS: "Customers without AMI or
9 time-of-use meters are not expected to transition to
10 smart rates. This means that utilities without AMI
11 need not develop or implement smart rates for
12 customers and classes using legacy meters."

13 BY MR. SHEMS:

14 Q. Can you read recommendation one also, please.

15 A. "Beginning immediately, electric utilities
16 should work in coordination with the DPS, EEUs and PSB to
17 create smart rate transition plans. Such plans should be
18 incorporated into utilities' future Integrated Resource
19 Planning processes. Utilities should have a plan in place
20 by 2017 to implement simple, fairly priced smart rates for
21 each customer class, recognizing that utilities which have
22 not deployed AMI capability may not be able to offer smart
23 rates to all customers. By 2018, all Vermonters served by
24 distribution utilities with AMI infrastructure should have
25 access to smart rate options designed with AMI in mind."

1 Q. WEC doesn't have the AMI technology to do
2 hourly rates; does it?

3 A. That is not my understanding. Conversations I
4 have had with Patty, Patty has indicated that moving all
5 customers to a rate such as that would, as I believe you
6 stated earlier, swamp your back haul and data processing
7 systems. But a percentage of customers could be served by
8 a smart rate like that. I don't know where that threshold
9 lies.

10 But my understanding was that some amount of
11 WEC customers could be served by smart rates like that.

12 COMMISSIONER HOFMANN: Mr. Potter, when
13 you say you had a conversation with Patty, you meant
14 Patty Richards?

15 THE WITNESS: Yes. My apologies.
16 Sorry.

17 BY MR. SHEMS:

18 Q. Did you hear Ms. Richards testify that it
19 would cost several million dollars to be able to implement
20 and deploy that technology?

21 A. Yes. But again, my understanding was that
22 that was for some large percentage of WEC customers.

23 Q. The recommendations use the word transition
24 and develop a plan. The Department's calling for an
25 abrupt shift within six months; is that correct?

1 A. No. I would not characterize it that way. We
2 have asked for those rates -- smart rates such as a
3 time-of-use rate or an electric vehicle end-use rate -- to
4 be developed within six months. And furthermore, have
5 advocated that the base rate that WEC is using in this be
6 implemented -- the changes in that be implemented over a
7 four-year period or three-year period, four-step period.
8 That's what we heard from Sean earlier.

9 Q. But you're citing this section of the
10 Comprehensive Energy Plan as your rationale for
11 eliminating WEC's initial block.

12 A. I am citing the section of the Comprehensive
13 Energy Plan because it envisions transitioning utilities
14 to more smart rate offerings backed up by a flat energy
15 rate. That's what this section ultimately boils down to
16 in my opinion. It says utilities should be offering
17 time-of-use rates or other smart rates.

18 And if you look at recommendation number 3, it
19 states that customers should always retain the right to
20 choose a flat rate, recognizing that they may pay a risk
21 premium for guaranteed prices. This section does not
22 discuss inclining rates, and I think that's notable.

23 Q. You're right. It does not discuss inclining
24 block rates. And recommendation 3 says that customers of
25 a utility that is using a smart rate, the customer retains

1 the right to choose a flat rate instead. That's not
2 really applicable here.

3 A. I think that's where we would like WEC to be.

4 Q. Okay.

5 CHAIRMAN ROISMAN: Mr. Shems, just to
6 keep the record clear, can you put a question at the
7 end of your statements?

8 MR. SHEMS: Okay.

9 CHAIRMAN ROISMAN: I understand your
10 question is; is that correct. But it will just make
11 the record read better.

12 MR. SHEMS: Thank you. I will.

13 BY MR. SHEMS:

14 Q. Going back to discovery response 4. You cite
15 this section of the Comprehensive Plan as the support for
16 eliminating the initial -- WEC's initial block; is that
17 correct?

18 A. Yes. In part.

19 Q. You don't cite any other policy document to
20 support the Department's recommendation the initial block
21 be eliminated. Do you?

22 A. No.

23 Q. And as you mentioned, there is no mention of
24 inclining block rates in this chapter of the CEP; correct?

25 A. If you mean the section on smart rates;

1 correct.

2 Q. And that section doesn't offer section 218(b)
3 to be amended.

4 A. I don't believe so.

5 Q. Okay. The need for sensitivity to low-income
6 customers is an important aspect of several parts of both
7 the 2011 and the 2016 Comprehensive Energy Plans; is that
8 right?

9 A. I have not read the 2011 Comprehensive Energy
10 Plan. But based on the portions of the 2016 CEP that you
11 just pointed out, yes.

12 Q. The 2016 plan pursues several different types
13 of policies. It calls for efficiency. It calls for
14 renewable energy. It calls for sensitivity to low-income
15 Vermonters. It calls for land use changes; is that right?

16 A. Yes.

17 Q. It pursues several different policies.

18 A. Yes.

19 CHAIRMAN ROISMAN: Question?

20 BY MR. SHEMS:

21 Q. Does the -- does the 2016 Comprehensive Plan
22 recommend several different policies?

23 A. There are a host of policies in the 2016 CEP.
24 It's a three or four-hundred page document.

25 Q. Is it possible for rate design to also pursue

1 several policies?

2 A. Yes.

3 Q. Does the Department have a problem with WEC
4 trying to protect some of its low income low-use members
5 by retaining an initial -- well let me rephrase that.

6 Does the Department have a problem with WEC's
7 effort to protect low income low-use members through its
8 rate design?

9 A. No. I think the Department shares the goal of
10 protecting WEC's low income low-use customers.

11 Q. Okay.

12 A. Which is why Carol made the recommendation she
13 did.

14 Q. Shifting topics a little bit. You testify on
15 page -- on page 5 lines 12, 13, that the inclining block
16 rate, the origins of which go back many years --

17 CHAIRMAN ROISMAN: It's page 6.

18 BY MR. SHEMS:

19 Q. Page 6. Sends a strong price signal to
20 conserve and use energy efficiently; is that right?

21 A. Yes.

22 Q. And the Department's whole rationale here is
23 that WEC's proposed initial block sends such a strong
24 price signal. The Department's rationale for recommending
25 that the block be eliminated is because it sends a price

1 signal.

2 CHAIRMAN ROISMAN: Question.

3 BY MR. SHEMS:

4 Q. That -- it sends a price signal that's
5 contrary to the Department's goal of promoting strategic
6 electrification; is that correct?

7 A. No.

8 Q. Okay. Can you explain why you're recommending
9 --

10 A. The second block sends a price signal that
11 discourages electricity consumption. Which at this point,
12 the State of Vermont's energy policy is contradictory to
13 our Comprehensive Energy Plan goals of renewable energy
14 and greenhouse gas reductions.

15 We want people to electrify transportation and
16 heating. And when you are sending a price signal that
17 says don't use more electricity, don't use a one hundred
18 percent renewable resource for these end uses, that's
19 contrary to the state policy goals. We are proposing to
20 remove that disincentive.

21 Q. But it's possible to have more than one goal
22 through rate design?

23 A. Yes.

24 Q. So you also testify on page 7 line 16 to 19
25 that it's unclear that any savings in WEC members' use of

1 electricity is attributable to the current initial block.

2 A. Correct.

3 Q. You say that you would need compelling data --

4 A. Yes.

5 Q. -- to verify that. Don't you need compelling
6 data to create -- to justify the significant impact on low
7 use low-income WEC members to see if you would really gain
8 that much more electrification by eliminating our initial
9 block?

10 A. I think it's important to remember that we
11 have -- well while there may be impact of some low-income
12 consumers, there is also a benefit to some low-income
13 consumers under this rate design proposal. And the point
14 I was making in that portion of my testimony is that the
15 inclining block rate structure is actually causing people
16 to fuel switch, right? Or I shouldn't make that strong of
17 a causality argument. It's sending a price signal to fuel
18 switch away from a one hundred percent renewable energy
19 source to propane.

20 We heard Ms. Richards say that was a
21 consideration that the board discussed earlier.

22 Q. It's not just inclining block rate. It's the
23 25 cent tail block rate. And it's 200 kilowatts. And
24 here we are narrowing it down from 200 to 100 and lowering
25 the tail block. That can send different signals too.

1 COMMISSIONER HOFMANN: Is there a
2 question?

3 BY MR. SHEMS:

4 Q. That can also send different signals; correct?

5 A. It can. But all of an electrification --
6 beneficial electrification strategy would fall, generally
7 speaking, into the tail block.

8 Q. Okay. Essentially you believe, tell me if I'm
9 wrong, that having an inclining block rate structure is a
10 pretty true and tried way of promoting efficiency. It's
11 been around for a long time. That was your testimony;
12 right?

13 A. I testified that it has been around a long
14 time and sends a conservation signal. Yes.

15 Q. Right. But you have no data at all, no
16 analysis supporting any gain, even if there would be any
17 gain, from eliminating WEC's proposed initial block.

18 COMMISSIONER CHENEY: Question mark.

19 BY MR. SHEMS:

20 Q. Question mark. Do you?

21 A. We did not perform any analysis. That's
22 correct.

23 Q. You relied in part on the 2017 Vermont
24 transportation energy profile to formulate the
25 Department's position here; is that correct?

1 A. I used one number from that plan to provide an
2 indication of the magnitude of consumption an electric
3 vehicle would add to a household's total electric energy
4 consumption.

5 Q. Have you read that plan?

6 A. I have. I have.

7 Q. You have. Have you read its conclusions?

8 A. I believe so. Yes.

9 Q. Refer to WEC Cross Exhibit 15.

10 A. I do not have a copy of that.

11 Q. Does that study refer -- make any reference to
12 promoting use of electric vehicles through rates?

13 A. May I have a moment while I read this? It
14 does not specifically mention rate design.

15 Q. Does it list a number of steps that should be
16 taken to further promote use of electric vehicles?

17 A. Yes.

18 Q. Such as?

19 A. These tools include strategic investments in
20 infrastructure, public outreach and information sharing,
21 regulatory mechanisms and market mechanisms.

22 Q. Thank you. In your opinion, Mr. Potter, would
23 a higher monthly charge promote a more stable revenue?

24 A. I -- I'm not sure. I would rely upon Sean
25 Foley to fully address the revenue adequacy concerns of

1 customer charge changes.

2 Q. Just in general, a higher monthly charge, does
3 that guarantee revenue?

4 COMMISSIONER HOFMANN: Mr. Shems, when
5 you say monthly charge, do you mean the customer
6 charge?

7 MR. SHEMS: Customer charge. Yes.

8 COMMISSIONER HOFMANN: Thank you.

9 THE WITNESS: Yeah. I think generally
10 speaking. Yes.

11 BY MR. SHEMS:

12 Q. Okay. And generally speaking, would more
13 stable revenue lead to fewer rate increases?

14 A. I'm not sure I can draw that conclusion. The
15 utility may have outside cost pressures that exceed that
16 stable source of power.

17 Q. Generally speaking.

18 A. Yes. Probably.

19 Q. And generally speaking again, would more
20 stable revenue lead to smaller swings of rate increases?

21 A. Again, I would rely on Sean Foley to answer
22 these questions. But generally speaking, probably.

23 Q. Okay. Could you turn to the discovery
24 responses again, please.

25 A. Yes.

1 Q. Number 13.

2 CHAIRMAN ROISMAN: Mr. Shems, just give
3 us a moment please.

4 COMMISSIONER HOFMANN: Which number are
5 you on?

6 CHAIRMAN ROISMAN: 13.

7 MR. BURKE: It's on page 14 of 28 in
8 the file.

9 MR. SHEMS: All set?

10 CHAIRMAN ROISMAN: Yes. We are. Thank
11 you.

12 BY MR. SHEMS:

13 Q. So in 13 we asked you whether our proposal
14 informs section 218(b); is that correct?

15 A. Yes.

16 Q. And you don't assert that WEC's proposal
17 violates or is contrary to 218(b); do you?

18 A. No.

19 Q. Do you testify or assert that WEC's proposal
20 -- proposed rate design is not just and reasonable?

21 A. No.

22 Q. Or that it's not fair or not adequate?

23 A. No.

24 Q. Okay. You're simply wanting WEC to go further
25 to further the single policy of electrification; is that

1 correct?

2 A. Yes.

3 Q. Without the analysis needed to see if it's
4 really worth it in terms of the significant impact on our
5 low use and low-income members.

6 COMMISSIONER CHENEY: Is that a
7 question?

8 BY MR. SHEMS:

9 Q. Correct?

10 A. Yes. I believe so.

11 MR. SHEMS: Thank you. That's all I
12 have.

13 CHAIRMAN ROISMAN: Okay.

14 COMMISSIONER HOFMANN: Yes. Mr.
15 Potter, I just -- you were asked by Mr. Shems a
16 number of questions about electric vehicle adoption.
17 And in your opinion would favorable rates for
18 electric vehicle charging be one tool to encourage
19 electric vehicle adoption?

20 THE WITNESS: Yes.

21 COMMISSIONER HOFMANN: The other one
22 that you rely on -- that you worry that since it's
23 about 10 years between rate cases, that we need to do
24 something now and not wait. That's one of your
25 premises of saying let's eliminate the 100 kilowatt

1 inclining block rate as well; is that correct?

2 THE WITNESS: Yes. That's correct.

3 COMMISSIONER HOFMANN: And so you heard
4 me ask some other witnesses this question.

5 Would a shorter time period before the
6 next rate design alleviate some of the concerns
7 expressed by the Department?

8 THE WITNESS: Yes.

9 COMMISSIONER HOFMANN: And do you have
10 any thoughts on how that should be either a time
11 period or metrics we should look at? Anything that
12 you would advocate for?

13 THE WITNESS: A time period shorter
14 than 10 years is something I would certainly advocate
15 for. I don't have a specific number in mind. Ms.
16 Richards threw out five years. I think I would like
17 to see something sooner than that. But I'm not
18 ruling out five years.

19 COMMISSIONER HOFMANN: The other
20 question Mr. Shems asked Ms. Richards in redirect was
21 about having some sort of metrics. And she really
22 honestly couldn't come up with what the metric would
23 be.

24 Maybe you could design something like
25 that. But have any thoughts occurred to you as to

1 what kind of metric you should look at as to when
2 would be a good time for another rate design for WEC?

3 THE WITNESS: I think metrics such as
4 deployment of electric vehicles or cold-climate heat
5 pumps or heat pump water heaters or even fuel
6 switching away from electricity for appliances that
7 are within the house.

8 I mean I am a WEC member. I'm a low-
9 use WEC member, and part of the reason for that is
10 that the person who owned the house before me
11 switched everything to propane. I have all propane
12 appliances. So I think tracking those metrics in
13 WEC's service territory would give you a good
14 indication of whether the rate design is successful,
15 or if you're seeing not much action, whether
16 additional rate design is needed.

17 COMMISSIONER CHENEY: Follow up on
18 that. Would you agree though that the price of the
19 alternative fuels, the price of oil and propane would
20 also be a factor?

21 THE WITNESS: Yes.

22 COMMISSIONER CHENEY: And so very large
23 increase or very large decrease in those fuel prices
24 would influence people's uptake of electric
25 alternatives.

1 THE WITNESS: Yes.

2 COMMISSIONER CHENEY: And not just the
3 rate design.

4 THE WITNESS: Yes.

5 COMMISSIONER HOFMANN: I'm going to
6 take you to a totally different area. I'm looking at
7 --

8 CHAIRMAN ROISMAN: Can I -- well as
9 long as we are in this area.

10 COMMISSIONER HOFMANN: Yes.

11 CHAIRMAN ROISMAN: All of this about
12 sending the price signal. Am I correct that the
13 average customer is not looking at these individual
14 components of their electric bill to decide what they
15 are going to do. Am I going to get an electric
16 vehicle or not. They are looking at the total bill.
17 If they are already using more than, let's say to
18 stay with the current system, more than 200 kilowatts
19 of electricity each month, the addition of a new
20 electric use whether it's a heat pump or an electric
21 vehicle or a hot water heater, is going to be at a
22 rate that's totally unaffected by that first 200
23 kilowatthours of use. They are using that already.

24 So for them, if there is a price
25 signal, the price signal is going to be in the next

1 rate, the rate after that. Correct?

2 THE WITNESS: Correct. Yes.

3 CHAIRMAN ROISMAN: All right. And are
4 you suggesting that by eliminating what WEC is now
5 proposing, which is to take the block down to 100
6 kilowatthours, you eliminate the 100 kilowatthour
7 block, that you would lower the overall rate, and
8 that that would then provide more of an incentive
9 than -- I think the rate that they have in mind is
10 like 19.6 or something like that. For that -- for
11 the next rate up.

12 Are you suggesting that you get rid of
13 that 100, and spread that saving over the whole rate,
14 and that will provide this additional incentive?

15 THE WITNESS: Yes.

16 CHAIRMAN ROISMAN: How much?

17 THE WITNESS: I don't know the exact
18 numbers off the top of my head, but I want to say
19 it's -- their proposal was 19 and 9 cents and ours
20 was 17, 7. Something like that. And yes, that is
21 part of the argument I'm making.

22 CHAIRMAN ROISMAN: All right. And is
23 there any data that you have to suggest that that is
24 the change that will move somebody into the electric
25 vehicle who wouldn't have gone there if it was 19.9?

1 THE WITNESS: No.

2 CHAIRMAN ROISMAN: Do you have any data
3 from any other jurisdiction that has rates where they
4 have seen a surge in electric vehicle purchases when
5 they move by 2 cents?

6 THE WITNESS: No.

7 CHAIRMAN ROISMAN: So what's the basis
8 for your belief that that change will encourage
9 electric vehicles if the Department's position is
10 taken versus if we were to go with the WEC position?

11 THE WITNESS: Is it -- I believe it's
12 about the perception of how electricity is billed by
13 the consumer. The inclining block rate structure
14 says more consumption is bad, and therefore we are
15 going to bill you at a higher rate for that. When
16 you have a flat energy rate, it doesn't discourage
17 electrification. It's all of your kilowatthours are
18 billed at the same rate. And so making a choice that
19 adds to your electric bill is not actively
20 discouraged through that rate design.

21 CHAIRMAN ROISMAN: So you think -- you
22 said it's perception. So is this an education issue
23 rather than a rate design issue?

24 THE WITNESS: I think it's both.

25 COMMISSIONER CHENEY: Do you think

1 decreasing the tail block rate from 25 cents to
2 rounding up to 20 cents -- 19.96 cents, going down
3 from 25 to 20, does that not send a signal as well?

4 THE WITNESS: Yes. It's moving in the
5 right direction, and we acknowledge that. And I
6 think -- I mean I applaud WEC for moving in that
7 direction.

8 CHAIRMAN ROISMAN: And are they moving
9 in that direction also by their proposal to eliminate
10 the 200 KWH preferential rate down to a 100
11 preferential rate?

12 THE WITNESS: I think so.

13 CHAIRMAN ROISMAN: So they are headed
14 in the right direction. You just want them to go
15 even further.

16 THE WITNESS: Yes.

17 COMMISSIONER CHENEY: Is that right?

18 CHAIRMAN ROISMAN: Yes. Thank you,
19 Margaret. Okay. Thank you. I'm sorry, Sarah.

20 COMMISSIONER HOFMANN: That's okay. I
21 was going in a totally different direction, so better
22 to get that done.

23 I actually have a question for you
24 based on Ms. Richards' August 16, 2019 testimony.
25 Her testimony was responding to some things that we

1 asked at the workshop, and nobody testified about
2 this. You may not be the right person.

3 But on page 5 of that August 16
4 testimony, and in the exhibit she attaches Exhibit
5 PR-2, it's basically saying other utility-type
6 services have larger customer charges or fixed
7 charges. And she goes through a number of them;
8 value comparisons for Internet, telecom, television.

9 And I'm just wondering from the
10 Department's perspective, is that an apples-to-apples
11 comparison when you're looking at those? Are those
12 the equivalent of a customer charge for a utility?
13 And if you have not thought about this, you can tell
14 me you don't know.

15 THE WITNESS: Yeah. Unfortunately this
16 is something I have not thought about and don't feel
17 comfortable answering today.

18 COMMISSIONER HOFMANN: Thank you.

19 MS. POPPITI: Ms. Richards testified
20 earlier that the six months that the Department is
21 proposing for WEC to develop an EV and time-of-use
22 rate is too short a time period. And I was wondering
23 if you had a response to that since there was no
24 surrebuttal from the Department.

25 THE WITNESS: I'm open to working with

1 WEC to develop a time line that makes sense.

2 MS. POPPITI: Do you have a sense of
3 what that time line might be?

4 THE WITNESS: Not a specific number.
5 No.

6 MS. POPPITI: But more than six months,
7 the Department would be open to that?

8 THE WITNESS: Yes.

9 MS. POPPITI: And you heard Ms.
10 Richards testify earlier that WEC intends to file a
11 rate increase petition in mid November. Did you hear
12 that?

13 THE WITNESS: Yes.

14 MS. POPPITI: And I'm wondering if the
15 Department looked at how WEC would be able to
16 implement that rate increase in conjunction with
17 implementing any sort of phase-in that would be an
18 option in this case of the customer charge.

19 And you might not be the right person
20 to answer that, but you have some testimony about the
21 phase-in. So I was wondering if you had a sense of
22 how the Department would propose to deal with that.

23 THE WITNESS: I think Sean Foley is the
24 right person to answer that, but I do think he
25 answered that, in part, earlier day. He stated were

1 we to do a phase-in, we could develop a schedule, and
2 then when you had a rate increase it could be worked
3 into that phase-in schedule.

4 MS. POPPITI: Yeah. I recall that too.
5 Thanks. Okay.

6 THE WITNESS: So I don't have anything
7 beyond what he said.

8 MS. POPPITI: Anything beyond that.
9 Okay. Thank you.

10 CHAIRMAN ROISMAN: I want to ask him
11 one question.

12 MS. POPPITI: Sure.

13 CHAIRMAN ROISMAN: The Commissioner
14 Cheney pointed out that -- and you agreed, that the
15 change that WEC is proposing from 25 cents down to
16 19.96 cents does send a price signal that says
17 electricity is significantly cheaper. I mean I don't
18 know whether it's shock, but at least surprise, when
19 the customer sees, oh, look at that.

20 Is it possible that the proposal the
21 Department has which is to do a lot of these other
22 changes through phase-in and different steps and
23 taking out the hundred KWH number might so confuse
24 the customer that all the benefit of the, oh wow, our
25 high rates are now going to go down. This is the

1 time to go and electrify my car, electrify my heat,
2 et cetera, et cetera, may be lost in the confusion as
3 to what's going on with my rates.

4 THE WITNESS: I don't think so. But
5 it's not something I had given a great deal of
6 thought to.

7 CHAIRMAN ROISMAN: Okay. All right.

8 MS. POPPITI: That's all that I have.

9 CHAIRMAN ROISMAN: Okay. Andy.

10 MR. FLAGG: I just wondered if the
11 Department supports the WEC's proposed \$25 customer,
12 you know, charge.

13 THE WITNESS: Yes. We are not
14 advocating for a change to that proposal on behalf of
15 WEC.

16 MR. FLAGG: And if that --

17 CHAIRMAN ROISMAN: Just a second. His
18 question was do you support it. And I think your
19 answer was we didn't oppose it. Do you support it?

20 THE WITNESS: I'm not sure I could
21 speak to the difference. I'm sorry. Not speaking to
22 the difference. I think our pro -- the Department's
23 proposal included a \$25 customer charge, and to that
24 extent, we supported it.

25 CHAIRMAN ROISMAN: Okay. Thank you.

1 MR. FLAGG: Thanks. And in WEC's
2 testimony that we heard this morning Ms. Richards
3 described that in their study that customer charge,
4 if it was, you know, applied correctly, would
5 actually cost \$89 a month. Do you recall hearing
6 that?

7 THE WITNESS: Yes.

8 MR. FLAGG: And so in the Department's
9 position if there was movement to increase that,
10 would that, you know, in a step-wise perspective, I
11 don't know what WEC's intention is with respect to
12 that. But if that was to increase, would the
13 Department have concern about those increasing
14 customer charges?

15 THE WITNESS: I'm not sure I can
16 speculate about a future customer charge above \$25
17 beyond the scope of this.

18 MR. FLAGG: That's what you support.
19 Okay. Thank you.

20 CHAIRMAN ROISMAN: Mr. Shems, did any
21 of this provoke any more questions?

22 MR. SHEMS: A couple. Thank you.

23 CROSS EXAMINATION

24 BY MR. SHEMS:

25 Q. You're a WEC member. I forgot about that.

1 Assume your neighbor is?

2 A. Yes.

3 Q. Okay. Let's say we have to step up the
4 customer charge over four increments over three years, and
5 decline the energy rate over four steps over three years.
6 And then we also have a rate increase. How do you explain
7 that to your neighbor and split the two up?

8 A. I would try to tell them that they have two
9 components of their electricity bill, one of which is a
10 customer charge which represents their fixed costs, and
11 the other is the energy charge which is a variable
12 component of the bill. And we are slowly transitioning
13 costs between the two over a three or four-step process.

14 Q. And do you think they would get it right away?

15 A. Depends on how articulate I am.

16 Q. You're a typical neighbor or --

17 A. Yes. I understand the point you're making.

18 Q. Okay. What's more important to incentivize
19 use of electric vehicles having -- increasing the number
20 of charging stations, or a two-cent increment in the rate?

21 A. I think we need to do everything we can right
22 now to incentivize electric vehicles. But I also want to
23 stress that the Department's position is not solely based
24 on advancing electric vehicles in WEC's service territory.
25 We are also looking at cold-climate heat pumps and heat

1 pump water heaters. And again, simply not sending a price
2 signal that encourages switching from an electric range to
3 a propane range when you go to buy a new range.

4 Q. VTrans studied this in the 2017 transportation
5 energy profile; right?

6 A. By study this you mean?

7 Q. Studied impediments to increasing use of
8 electric vehicles?

9 A. I'm not sure if they studied it or referred to
10 a study. But they discussed impediments, I believe, in
11 here.

12 Q. They said number one, we need to increase
13 infrastructure.

14 A. They listed a certain number of tools, and
15 that was the first in the list. Yes.

16 Q. Yeah. And no mention of rates as you
17 testified to already.

18 A. Right.

19 Q. If WEC were to have to do a rate increase
20 because of the cost of implementing time of use, would
21 that send an adverse signal for electrification of heat
22 and transportation?

23 A. It would increase a -- the cost of
24 electricity, but it would not -- presuming we are under
25 the Department's proposal here, it does not -- would not

1 carry with it a fundamental rate design that discourages
2 electrification.

3 Q. But if a cost were somewhat higher than 17.77,
4 it would discourage electrification and transportation.
5 Could it?

6 A. Possibly. Yes.

7 Q. Do you get the Co-op Currents?

8 A. Yes.

9 Q. Do you read it?

10 A. Some of the time.

11 Q. Are you aware that WEC holds annual meetings?

12 A. Yes.

13 Q. Are you aware of other outreach that WEC does
14 to its members?

15 A. No.

16 Q. No. Do you know of activities and meetings
17 that are listed in the Co-op Currents, information
18 sessions?

19 A. I believe I've seen a listing in there. Yes.

20 Q. Do other utilities do that type of outreach?

21 A. I don't feel confident to speak to the level
22 of outreach that other utilities conduct.

23 MR. BURKE: I think we are running a
24 little far afield from the commission questioning.

25 COMMISSIONER HOFMANN: I was going to

1 ask, when did we ask about that. But --

2 MR. BURKE: I'm okay with it. But --

3 BY MR. SHEMS:

4 Q. Did the Department do any outreach in
5 developing -- with WEC members in developing its proposal?

6 A. No. We did not.

7 MR. SHEMS: Okay. That's all I have.

8 CHAIRMAN ROISMAN: Mr. Burke?

9 MR. BURKE: I'll try to be as direct as
10 possible.

11 CHAIRMAN ROISMAN: Speak up.

12 MR. BURKE: Yes. And use the
13 microphones. I get chided for not using the
14 microphone routinely as well, Mr. Shems.

15 COMMISSIONER HOFMANN: On a regular
16 basis.

17 MR. SHEMS: He's in good company.

18 REDIRECT EXAMINATION

19 BY MR. BURKE:

20 Q. Mr. Potter, at the outset of Mr. Shems' cross
21 examination he asked you whether the Department had any
22 written policies about the elimination of tail block rates
23 from utility rates. And you testified no. Correct?

24 A. Correct.

25 Q. Now in formulating your recommendations in

1 this case, did you work in isolation?

2 A. No.

3 Q. Who else at the Department did you discuss the
4 recommendation to eliminate the tail block rate with?

5 A. Ed McNamara, my direct supervisor. Riley
6 Allen, the Deputy Commissioner. June Tierney, Sean Foley,
7 Carol Flint. There was a team of Department folks that
8 worked on this issue.

9 Q. While we don't have any written policies, this
10 was a matter that was discussed with the highest
11 leadership in the Department; correct?

12 A. Yes.

13 COMMISSIONER CHENEY: Can I ask you
14 when you say this is a policy, what are you referring
15 to?

16 MR. BURKE: I'm sorry. The elimination
17 of the tail block rate.

18 CHAIRMAN ROISMAN: Say that word again
19 loudly.

20 MR. BURKE: Elimination of the tail
21 block rate.

22 CHAIRMAN ROISMAN: Thank you.

23 BY MR. BURKE:

24 Q. Now Chairman Roisman had some questions for
25 you about data that supports our recommendation. Does WEC

1 dispute our position that reducing the tail block rate
2 will provide an incentive for what we are calling
3 strategic electrification?

4 A. Not to my knowledge.

5 MR. BURKE: I think that's all I have.

6 CHAIRMAN ROISMAN: Mr. Shems.

7 MR. SHEMS: That's all I have. Thank
8 you.

9 CHAIRMAN ROISMAN: Thank you all. And
10 not all the witnesses are here, because I thought
11 they were all extremely helpful, Mr. Potter.

12 And I have been asked to confirm that
13 you all have a briefing schedule that apparently
14 everyone has agreed to. Initial briefs due on the
15 5th of November and simultaneously. And reply briefs
16 due simultaneously on the 12th of November.

17 MR. BURKE: That's correct.

18 CHAIRMAN ROISMAN: Is that correct?

19 MR. SHEMS: I believe so.

20 CHAIRMAN ROISMAN: Okay. We will look
21 forward to seeing your next filings. Thank you.

22 MR. BURKE: I have one question before
23 we go off the record for Ms. Hofmann. We discussed
24 earlier getting information from our CAPI division
25 about complaints in the GMP-CVPS merger. I saw Ms.

1 Flint at lunch, and she confirmed that there were
2 complaints, and a fairly significant amount related
3 to the substance of the change, and this relates to
4 integrating GMP and CVPS's time-of-use rates. And
5 there was some customers who were particularly
6 aggrieved by the end product of that process.

7 Are those the types of complaints that
8 you would like to see, or are you more concerned with
9 whether or not the phased-in approach was problematic
10 for people or timing?

11 COMMISSIONER HOFMANN: At the time I
12 was looking at the -- whether the phased-in approach
13 was problematic. Were people confused by that. Were
14 they --

15 MR. BURKE: Okay.

16 COMMISSIONER HOFMANN: Did they
17 complain about it in any way I guess really.

18 MR. BURKE: Apparently we have a fairly
19 large pile, so I don't want to give you a data dump
20 that's not helpful.

21 COMMISSIONER HOFMANN: Okay. I'm
22 really looking at just the timing. Was it confusing.
23 Not which bucket people ended up in. I understand
24 that could be very controversial.

25 MR. BURKE: Yes. Okay. That's

1 helpful. Thank you.

2 CHAIRMAN ROISMAN: Okay. We are
3 adjourned.

4 (Whereupon, the proceeding was
5 adjourned at 2:31 p.m.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, Kim U. Sears, do hereby certify that I recorded by stenographic means the Evidentiary Hearing re: Case No. 19-1270-TF, at the Susan M. Hudson Hearing Room, People's United Bank Building, 112 State Street, Montpelier, Vermont, on October 22, 2019, beginning at 10:30 a.m.

I further certify that the foregoing testimony was taken by me stenographically and thereafter reduced to typewriting and the foregoing 137 pages are a transcript of the stenograph notes taken by me of the evidence and the proceedings to the best of my ability.

I further certify that I am not related to any of the parties thereto or their counsel, and I am in no way interested in the outcome of said cause.

Dated at Williston, Vermont, this 26th day of October, 2019.

A rectangular box containing a handwritten signature in cursive script that reads "Kim U. Sears". The signature is written in dark ink on a light-colored background.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25